

BEFORE THE
NATIONAL COAL COUNCIL
UNITED STATES DEPARTMENT OF ENERGY
FEDERAL ADVISORY COMMITTEE MEETING
TRANSCRIPT OF PROCEEDINGS

12 April 2018
Washington, D.C. USA

BUNN & ASSOCIATES
Registered Professional Reporters Worldwide
Post Office Box 297
310 South Main Street
Lusk, Wyoming 82225 USA
In USA 1-800-435-2468 Worldwide 001-307-334-2423
Worldwide Telefax 001-307-316-0388
E-mail: BUNNORLDWIDE@aol.com
Copyright 2018 All rights reserved.

1 COUNCIL MEMBERS:

2	GREGORY A. WORKMAN	Chair
3		National Coal Council
4		Director
		Fuels
		Dominion Energy, Inc.
5	ROBERT O. AGBEDE	Vice Chair
6		Hatch Chester
7	C. THOMAS ALLEY, Jr.	Vice President
8		Generation Sector
		Electric Power Research
		Institute (EPRI)
9	BARBARA FARMER-ALTIZER	Executive Director
10		Virginia Coal & Energy
11		Alliance, Inc.
12	DONNA D. ANDERSON	Vice President and CFO
13		Babcock Power Services,
		Inc.
14	RODNEY ANDREWS	Director
15		Center for Applied Energy
		Research "CAER"
16	SHANNON ANGIELSKI	Principal Governmental
17		Issues
		Van Ness Feldman LLP
		Carbon Utilization
		Research Council
18	Hon. DUANE ANKNEY	Senator
19		Senator of Montana
20	RANDALL ATKINS	Executive Chair and
21		Director
		Ramaco Coal, LLC

22

23

Continued.....

1 COUNCIL MEMBERS (Continued):

2	RICHARD BAJURA	Director
3		National Research Center
4		for Coal & Energy
		West Virginia University
5	SHANNON MAHHER BANAGA	Director, Federal Affairs
		TECO Energy
6	ROBERT A. BIBB	Chair
7		Bibb Engineers, Architects
		& Constructors
8	JASON BOHRER	President & CEO
9		Lignite Energy Council
10	RICK BOYD	Director of Generation
		Projects
11		Dominion Energy
12	LISA J. N. BRADLEY	Principal Toxicologist
		Haley & Aldrich
13	BRENDA BRICKHOUSE	Vice President of
14		Environment & Energy
15		Policy
16		Chief Sustainability
		Officer
		Tennessee Valley Authority
17	JAMES "JIMMY" BROCK	CEO
		CNX Coal Resources, LP
18	ALFRED "BUD" BROWN	CEO
19		ION Engineering
20	ROXANNE BROWN	Assistant Legislative
		Director
21		United Steelworkers
22	F. WILLIAM BROWNELL	Hunton & Williams
23	CHARLES W. BULLINGER	Senior Principal Engineer
		Green River Energy

1 COUNCIL MEMBERS (Continued):

2 JOHN CASSADY Vice President Legislative
3 Affairs
4 National Rural Electric
5 Cooperative Association

6 HENRY J. CIALONE President & CEO
7 EWI (Edison Welding
8 Institute)

9 KIPP CODDINGTON Director, Energy Policy &
10 Economics
11 Carbon Management
12 Institute School of Energy
13 Resources
14 University of Wyoming

15 BRAD CRABTREE Vice President Fossil
16 Energy
17 Great Plains Institute

18 JOSEPH W. CRAFT III President
19 Alliance Coal

20 DIANA ALEJANDRA DAURY Boilers Clean Combustion
21 Leader
22 GE Power

23 DAVID L. DENTON Senior Fellow
24 Susteon, Inc.

25 KATHERINE DOMBROWSKI Manager Technology
26 Development
27 AECOM

28 JOHN DUDDY Director Heavy Oil & Coal
29 Technology
30 Axens North America, Inc.

31 GEORGE DUGGAN Vice President
32 Coal Marketing
33 BNSF Railway

34

1 COUNCIL MEMBERS (Continued):

2	MICHAEL D. DURHAM	Founder Soap Creek Energy
3		
4	RON ELLER	CEO Tinum
5		
6	RUSS EPTING	Vice President Coal Sales & Marketing CSX Transportation
7		
8	JEFF ERIKSON	General Manager Global CCS Institute
9		
10	DAVID M. FLANNERY	Member Steptoe & Johnson, PLLC
11		
12	MARK FORWERCK	Managing Director North America LP AMINA LLC
13		
14	DAVID A. FREDERICK	Director, Fuel FirstEnergy Solutions Corporation
15		
16	THOMAS K. GALE	Director of Technology Development Novinda Corporation
17		
18	DANNY L. GRAY	Executive Vice President Government and Environmental Affairs Charah, LLC
19		
20	MATTHEW GREEK	Senior Vice President Engineering & Construction Basin Electric Power Cooperative
21		
22	ROBERT R. HARDMAN	Vice President Fuel supply Dynergy, Inc.

23

Continued.....

1 COUNCIL MEMBERS (Continued):

2	JOHN HARJU	Vice President for Strategic Partnerships
3		University of North Dakota
4		Energy & Environmental Research Center
5	ROY W. HILL	Chair & President
6		Clean Energy Technology Association, Inc.
7	WILLIAM HOBACK	Energy Project Consultant
8		Southern Illinois University
9		Advanced Coal & Energy Research Center
10	MICHAEL J. HOLMES	Vice President
11		Research & Development Lignite Energy Council
12	SUSAN W. JACKSON	Manager
13		CCP & Waste Management Santee Cooper
14	DENNIS R. JAMES	Director, New Technology
15		North American Coal Corporation
16	KIM L. JOHNSON	Managing Partner
17		Gen2, LLC
18	BRIAN KALK	Director of Energy Systems Development
19		Energy & Environmental Research Center
20	CASEY J. KAPTUR	Principal
21		RungePincockMinarco
22	MICHAEL KARMIS	Virginia Tech
23		Mining & Mineral Engineering

1	COUNCIL MEMBERS (Continued):	
2	STEVEN KRIMSKY	Vice President Operations Jupiter Oxygen Corp.
3		
4	HOLLY KRUTKA	Vice President Coal Generation & Emissions Technologies Peabody
5		
6	ROXANN LAIRD	Director National Carbon Capture Center Southern Company
7		
8		
9	DAVID LAWSON	VP Coal Marketing Norfolk Southern Corporation
10		
11	MARK LEWIS	Elected Director Central Arizona Project
12	JOHN LONG	COO Connemara Ltd.
13		
14	LEONARD J. MARSICO	Partner McGuire Woods
15	CHARLES D. McCONNELL	Executive Director Rice University Energy and Environment Initiative
16		
17	CHARLES S. McNEIL	CEO NexGen Resources Corporation
18		
19	EMILY S. MEDINE	Principal Energy Trading Company
20		
21	TOM METCALFE	Senior Vice President Power Generation WEC Energy Group WE Energies
22		
23		Continued.....

1 COUNCIL MEMBERS (Continued):

2	RAFIC Y. MINKARA	Vice President Research & Development Boral Resources, LLC
3		
4	BETSY B. MONSEAU	CEO American Coal Council
5		
6	MICHAEL E. MOORE	Managing Partner East-West Strategic Advisors
7		
8	CLARK A. MOSELEY	CEO Navajo Transitional Energy Company
9		
10	MICHAEL NASI	Equity Partner Jackson Walker, LLP
11	KENNETH J. NEMETH	Executive Director Southern States Energy Board
12		
13	KAREN OBENSHAIN	Senior Director Fuels, Technology & Commercial Policy Edison Electric Institute
14		
15		
16	MARY EILEEN O'KEEFE	Vice President Business Development Athena Global Energy Solutions
17		
18	FREDRICK D. PALMER	Senior Fellow The Heartland Institute
19		
20	CARYL PFEIFFER	Director, Corporate Fuels & By-Products LG&E & KU Energy LLC
21		
22	ROBERT M. PURGERT	President Energy Industries of Ohio

23

Continued.....

1 COUNCIL MEMBERS (Continued):

2 ANGILA M. RETHERFORD Vice President
3 Environmental Affairs &
4 Corporate Sustainability
Vectren Corporation

5 CHARLENE RUSSELL Senior Director
6 Commercial Development
Occidental Petroleum
Corporation

7 PETER SALDITT President
8 Underground Segment
Komatsu Mining Corp.

9 TODD SAVAGE Executive Vice President
10 Group Leader
Savage Services

11 JOHN SCHULTES CEO & Founder
12 New Steel International,
Inc.

13 CONSTANCE L. SENIOR Vice President
14 Technology
ADA-ES, Inc.

15 SHARON SJOSTROM Chief Project Officer
16 Advanced Emissions
Solutions, Inc.

17 CAROLYN SLAUGHTER Director
18 Environmental Policy
American Public Power
Association

19 DECK S. SLONE Senior Vice President
20 Strategy & public Policy
21 Arch Coal

22

23

Continued.....

1	COUNCIL MEMBERS (Continued):	
2	MICHAEL G. SORENSEN	Senior Manager
3		Fuel & Water Resources
4		Tri-State Generation & Transmission Association, Inc.
5	BENJAMIN SPORTON	Chief Executive
6		World Coal Association
7	G. SCOTT STALLARD	Vice President
8		Director of ASSET360 Platform Atonix Digital
9	VICKY SULLIVAN	Director
10		Environmental & Energy Policy Duke Energy
11	SCOTT TEEL	Vice President
12		Fuel Services Southern Company Operations
13	JOHN W. THOMPSON	Director
14		Fossil Transition Project Clean Air Task Force
15	MATTHEW T. USHER	Director
16		New Gen Engineering American Electric Power/ AEP Generation
17	KATHY WALKER	President
18		Elm Street Resources, Inc.
19	KEMAL WILLIAMSON	President
20		Americas Peabody
21	XIAOLIANG YANG	CCS Team Global Lead
22		World Resources Institute (China)
23		

1 SPEAKERS:

2 Hon. STEVEN WINBERG
 National Coal Council Designated Federal Officer
 3 Assistant Secretary for Fossil Energy
 United States Department of Energy

4

THOMAS J. PYLE
 5 President
 Institute for Energy Research & American Energy
 6 Alliance

7 ANTHONY KU
 Director of Advanced Technologies
 8 National Institute of Clean and Low-Carbon Energy
 (NICE)

9

RANDALL ATKINS
 10 CEO
 RAMACO Carbon

11

DAN CONNELL
 12 Director of Market Strategy & Business Development
 CONSOL Energy, Inc.

13

JOHN THOMPSON
 14 Director
 Fossil Transition Project
 15 Clean Air Task Force (CATF)

16 ATTENDEES:

17 JACK ADAMS Director
 Government Affairs
 18 Calgon Carbon Corporation

19 SY ALI Principal
 Clean Energy Consulting

20

DOUGLAS ARCHER Program Manager
 21 U.S. Department of Energy

22 MITCHELL BAER Associate Vice President
 Policy Analysis
 23 ACCCE

1 ATTENDEES (Continued):

2	MARTIN BAKER	Dentons
3	PETER BALASH	Senior Economist
4		U.S. Department of Energy NETL
5	DARREN BOSSIE	Deputy Director
6		Secretarial Boards & Commissions
7		U.S. Department of Energy
8	DYLAN BROWN	Reporter E&E News
9	DANIEL CARDENAS	CEO
10		National Tribal Energy Association
11	LELAND COGLIANI	Senior Consultant
12		Lewis Burke Associates
13	DONALD COLLINS	CEO
14		Western Research Institute
15	JARAD DANIELS	Director, Strategic
16		Planning & Global Engagement
17		Office of Clean Coal & Carbon Management
18		U.S. Department of Energy
18	JULIA d'HEMECOURT	Hutton & Williams
19	CYRIL DRAFFIN	Energy Initiative Project Advisor
20		Massachusetts Institute of Technology
21		
22	MICHAEL ECKARD	Director, Federal Affairs
23		FirstEnergy

1	ATTENDEES (Continued):	
2	TOMAS TARKA	Senior Engineer
3		U.S. Department of Energy NETL
4	AUDREY TAUCHER	Taucher International
5	OSAMU USUI	Deputy General Manager
6		Mitsubishi Heavy Industries America
7	ROXANN WALSH	Director
8		CCS & Renewable/DG R&D Southern Company
9	KARL WEISS	Vice President MH&U
10		Caterpillar
11	KAZUKO WHITE	Assistant General Manager
12		Mitsubishi Corp. Americas
13	EDDIE JOE WILLIAMS	Federal Representative
14		Southern States Energy Board Office of the President
15	TOMASZ WILTOWSKI	Director
16		Advanced Coal & Energy Research Center Southern Illinois University
17	SAM WOODS	Business Development
18		Manager Navajo Transitional Energy Co.
19		
20	HAO YU	Student
21		George Washington University
22		
23		

	I N D E X	Page
1		
2		
3	INTRODUCTIONS By Assistant Secretary Winberg	19
4	KEYNOTE PRESENTATION By Thomas J. Pyle	27
5		
6	CALL TO ORDER/OPENING REMARKS By Assistant Secretary Winberg	86
7	ELECTION OF NCC CHAIR AND VICE-CHAIR By Assistant Secretary Winberg	91
8		
9	KEYNOTE PRESENTATION By Assistant Secretary Winberg	94
10	ANNOUNCEMENT OF ELECTION RESULTS OF NCC CHAIR AND VICE-CHAIR	
11	By Assistant Secretary Winberg	120
12	KEYNOTE PRESENTATION: CHINA'S EFFORTS TO ADVANCE ULTRA-LOW EMISSIONS COAL POWER	
13	By Anthony Ku	126
14	PRESENTATION: CARBON FROM COAL By Randall Atkins	167
15		
16	PRESENTATION: OPPORTUNITIES FOR NEW TECHNOLOGY IN COAL MINING AND BENEFICIATION	
17	By Dan Connell	187
18	PRESENTATION: ENHANCING THE SUCCESS RATE OF TECHNOLOGY DEVELOPMENT: AN ECOSYSTEM APPROACH	
19	By John Thompson	219
20	PUBLIC COMMENT PERIOD	
21	CLOSING REMARKS	
22	ADJOURNMENT	
23		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

BEFORE THE
NATIONAL COAL COUNCIL
UNITED STATES DEPARTMENT OF ENERGY
FEDERAL ADVISORY COMMITTEE MEETING

Meeting was held pursuant to Invitation
at the New Hampshire Conference Room, the Wink
Hotel, 1143 New Hampshire Avenue, NW, D.C., USA,
commencing on the 11th day of April, 2018, at 7:00
p.m. ET; adjourning at 9:18 p.m. ET; resuming on
the 12th day of April, 2018, at 8:34 a.m. ET.

TRANSCRIPT OF PROCEEDINGS

MS. GALLICI: Good morning. Good
morning. If you would kindly take your seats, we
would greatly appreciate it.

08:34:38

Steve, I need your help. You did so
well last evening.

ASSISTANT SECRETARY WINBERG: Good
morning, everyone.

(Whereupon, a response was had.)

08:35:52

ASSISTANT SECRETARY WINBERG: We are now
five minutes behind schedule, so if I could ask
people to take their seats, or if you are getting
ready to cut a deal, take it outside, outside of

1 the room here.

2 But, I'd like to get started so that we
3 don't waste any more of your precious time.

08:36:19

4 We had an excellent, excellent dinner
5 and speaker yesterday evening. I'm eager to have a
6 good meeting this morning, so I hereby call the
7 spring, 2018, meeting of the National Coal Council
8 to order.

08:36:34

9 For those of you that I haven't met that
10 weren't, that may not have been at the dinner last
11 night, my name's Steve Winberg, and I'm the
12 Assistant Secretary For Fossil Energy, which means
13 that I get the honor of leading these meetings,
14 because the ASFE is the Designated Federal Officer,
15 or DFO.

08:36:51

16 I've also served on the NCC for a couple
17 of years, so I'm honored to again be involved with
18 the National Coal Council, although this time from
19 this side of the table.

08:37:05

20 I think you all know this, but maybe you
21 don't. For 34 years, the National Coal Council has
22 provided expert advice, counsel, and guidance on a
23 broad range of coal-related policy issues,

1 everything from technology to energy security.

2 Representing the broad diversity of coal
3 interests, the National Coal Council has always
4 been counted on to provide solid, reliable, and
08:37:33 5 balanced analysis and counsel. And, because of
6 that you have earned the respect of the industry
7 you represent and the policymakers you advise.

8 So, you should be proud of the work you
9 do. I know I am proud to be associated with you in
08:37:50 10 this capacity, and certainly was proud when I was
11 on the Council for a couple of years.

12 Now I want to take a few minutes and
13 acknowledge a few people that helped us immediate,
14 immensely in keeping this organization operational.

08:38:08 15 On the DOE side we have Dr. Daniel Matuzak, who
16 served as the Designated Federal Officer for about
17 the last two years and has done a tremendous job.

18 Thank you Dan. Daniel, you here today?

19 He's back home working.

08:38:24 20 Also want to acknowledge Joe Giove, who
21 is the current Deputy DFO. I wanted -- And, I want
22 to acknowledge Joe even though he isn't here today.

23 It happens to be Joe's tenth wedding

1 anniversary, and he and his wife planned a ten-day
2 trip to Italy about six months ago. Joe did not
3 want to risk getting a divorce by coming here
4 instead of going to Italy.

08:38:52 5 I certainly said, you know, we could
6 change positions. No one thought that was a good
7 idea.

8 We have Doug Matheney, who serves as my
9 senior policy adviser. He's here today.

08:39:06 10 Doug, you want to stand up so people
11 know who you are?

12 (Whereupon, applause was had.)

13 ASSISTANT SECRETARY WINBERG: Thank you.

14 Doug has a very long history with coal,
08:39:15 15 and he is a valuable resource to me and the
16 Department. And, I'm sure you're going to be
17 seeing a lot of Doug.

18 Angelos Kokkinos, Angelos, please stand.

19 (Whereupon, applause was had.)

08:39:31 20 ASSISTANT SECRETARY WINBERG: Angelos is
21 the Director of Advanced Fossil Technology Systems
22 in FE's Coal Office, and he's also here today.

23 Sean Plasynski.

1 (Whereupon, applause was had.)

2 ASSISTANT SECRETARY WINBERG: Sean,
3 where are you?

4 Sean is Acting Director for NETO.

08:39:47 5 Where am I? Jarad Daniels. I think I
6 saw Jarad. There he is, Director for Policy for
7 Coal.

8 (Whereupon, applause was had.)

9 ASSISTANT SECRETARY WINBERG: And Randy
08:40:00 10 Gentry. Randy Gentry's over here.

11 (Whereupon, applause was had.)

12 ASSISTANT SECRETARY WINBERG: Deputy
13 Director of Science and Technology.

14 Also want to acknowledge our outgoing
08:40:08 15 Chair, Greg Workman, and Vice-Chair, Deck Slone,
16 for their service to the NCC.

17 (Whereupon, applause was had.)

18 ASSISTANT SECRETARY WINBERG: And, of
19 course, Janet Gallici and her team for all the work
08:40:18 20 that they do.

21 And, finally, I want to thank all the
22 members and perspective members of the NCC that are
23 here today. Your service to Secretary Perry and

1 our nation's greatly appreciated.

2 And, I'm grateful to see members of the
3 public here as well. I appreciate your interest in
4 the topics we will address today.

08:40:37

5 Before we conduct official business I
6 wanted to call on the NCC incorporated legal
7 counsel, Julia d'Hemecourt, with Hutton & Williams,
8 to provide us with an important antitrust advisory
9 that should be considered from the outset of our
10 activities.

08:40:53

11 MS. d'HEMECOURT: Thank you so much.
12 Good morning.

13 I'm Julia d'Hemecourt, an attorney at
14 Hunton & Williams, here in town. The National Coal
15 Council is a federal advisory committee to the
16 Secretary of Energy.

08:41:13

17 Membership in this organization conifers
18 no immunity from federal or state anti-trust laws.
19 As you know, the NCC has a set of general
20 anti-trust guidelines.

08:41:23

21 If you would like a copy, one can be
22 obtained on our web site. During this meeting we
23 will abide by these guidelines.

1 If you feel at any time we've strayed
2 from them, please interrupt and we'll seek legal
3 counsel. Thank you.

08:41:41 4 ASSISTANT SECRETARY WINBERG: Thank you,
5 Julie.

6 This morning, morning we'll conduct an
7 election for the position of Chair and Vice-Chair.
8 I'll give a keynote address, and then we'll
9 announce the election results.

08:41:51 10 We'll then hear about China's work on
11 the coal plants and coal conversion facilities from
12 Anthony Ku, Director of Advanced Technologies at
13 the National Institute of Clean and Low-Carbon
14 Energy, also known as NICE.

08:42:06 15 And, then, following a break, we'll have
16 additional speakers. Now, just a note.

17 And, we -- Janet talked about this last
18 night. This meeting is held in accordance with the
19 Federal Advisory Committee Act and the Regulations
08:42:19 20 that govern that Act.

21 A verbatim Transcript of this meeting is
22 being made. Therefore, it is important that you
23 use the microphone when you wish to speak, and that

1 you begin by stating your name and your
2 affiliation.

08:42:38 3 We will also have a public comment
4 period at the end of the meeting to ensure that
5 those not formally on the agenda are able to give
6 us their views.

08:42:52 7 Having said that, I would like to
8 welcome guests from the public who have joined us
9 today, and I would like you to know that the
10 Department welcomes your view on these topics that
11 we're being briefed on today.

08:43:07 12 Council members have been provided with
13 a copy of the Agenda for today's meeting. I'd
14 appreciate having a Motion for the adoption of that
15 Agenda.

16 Do we have a motion?

17 MR. BAJURA: This is Dick Bajura, as a
18 first.

08:43:11 19 ASSISTANT SECRETARY WINBERG: Do I have
20 a second?

21 MS. BRADLEY: Lisa Bradley as a second.
22 Thank you.

23 ASSISTANT SECRETARY WINBERG: All in

1 favor?

2 (Whereupon, a response was had.)

3 ASSISTANT SECRETARY WINBERG: Opposed?

4 (Whereupon, no response was had.)

08:43:21 5 ASSISTANT SECRETARY WINBERG: Thank you.

6 The Agenda's adopted.

7 So, with that I think that we go right
8 into opening remarks.

9 MS. GALLICI: We need to do the ballot
08:43:37 10 first.

11 ASSISTANT SECRETARY WINBERG: Okay, I
12 think you have ballots. I'm sorry.

13 I think you have ballots. Members
14 should have been given balance lots.

08:43:46 15 If you don't have one, could you rise
16 your hand and we'll get one over to you. So we'll
17 leave just a couple minutes for that.

18 MS. GALLICI: So, if -- This is new, so
19 bear with us. But, I need voting members of the
08:44:16 20 Council who have ballots in front of them to please
21 complete the ballots, voting for Chair and
22 Vice-Chair.

23 And, if you will pass those to the

1 center of the room, then we have some folks here
2 from DOE who will be collecting those. So, -- And,
3 they will be tabulated as Steve is making his
4 opening remarks.

08:44:39

5 So, if you'd kindly take care of that
6 bit of business right now, we would appreciate it.

7 ASSISTANT SECRETARY WINBERG: Okay, then
8 I think we're substantially complete. As Janet
9 mentioned, we'll, we'll have the results right
10 after my opening remarks.

08:45:32

11 KEYNOTE PRESENTATION:

12 ASSISTANT SECRETARY WINBERG: So, thank
13 you for your, for taking the time to, to vote. I
14 want to focus the bulk of my remarks on what we're
15 doing on coal technologies, what we're doing to
16 make our current coal fleet more efficient, and
17 what we're doing and will need to do to make sure
18 we're able to bring on line advanced coal plants as
19 the current fleet retires.

08:45:42

08:45:58

20 But, first, my message to you today is
21 that we have reason to be optimistic about coal,
22 and that we all have a lot of work to do. No
23 secret there.

1 Let me just note that I know you're
2 doing a lot of good work, and I, as well as
3 Secretary Perry, look forward to your white paper
4 on coal exports.

08:46:17

5 In addition, I'm pleased to announce
6 that the Secretary has just issued a letter to the
7 NCC -- Janet mentioned this last night at the
8 dinner. -- charging the NCC to prepare a report on
9 optimizing existing coal fleet to ensure a reliable
10 and resilient power grid.

08:46:35

11 This report, report will take a detailed
12 look at a broad range of issues and considerations
13 that impact the existing fleet, including an
14 outlook on the future generation mix, as well as
15 Policy, market, and technology opportunities for
16 coal-fired power generation.

08:46:47

17 Given that will, it will tie into our
18 focus on R&D to upgrade the existing fleet, while
19 also developing technologies for plants in the
20 future, which I'll talk about in more detail in a
21 moment, this report is most certainly most timely.

08:47:02

22 I know that it will provide the kind of
23 insightful analysis and recommendations that have

1 made the Coal Council a valuable resource for six
2 Presidents and eleven Energy Secretaries.

08:47:29

3 Now, optimism about coal was in short
4 supply just a year and a-half ago. But, things
5 have changed.

08:47:44

6 And, the reason we can be optimistic now
7 is that we have a president who wants to revive
8 coal, not revile it. President Trump and this
9 Administration truly understand the value and the
10 necessity of coal and the coal industry.

08:47:59

11 And, you can see that throughout the
12 President's America First energy plan, which
13 recognizes and embraces the fact that we have vast
14 domestic energy resources in the United States,
15 including coal, and we should develop, produce,
16 use, and support them.

08:48:16

17 And, his plan is pretty
18 straight-forward: Boost the production of domestic
19 energy resources, and do it in a responsible way.
20 Grow our economy, and grow jobs. Strengthen our
21 national security, and expand global markets for
22 America energy resources.

23 So, when it comes to coal, we're going

1 to see -- in fact, we're already seeing a new focus
2 on Policies that level that playing field.

3 And, let me be clear. Leveling,
4 leveling the playing field is not a subsidy for
08:48:38 5 coal, as some would argue.

6 Here's what it is. It's removing
7 artificial ideologically motivated barriers to use,
8 to the use of an abundant energy resource that
9 remains critical to our grid and our energy
08:48:54 10 security, barriers that actually threaten the
11 grid's stability and energy security, and have
12 wreaked havoc on jobs and communities across
13 America, and barriers that reflect a false choice
14 between growing our economy, and caring for the
08:49:11 15 environment.

16 The fact is, by embracing innovation
17 over regulation, we can do both. And, that's at
18 the heart of the new energy realism that Secretary
19 Perry has been talking about.

08:49:26 20 Of course, leveling the playing field
21 for coal is not easy. We have a lot of bad policy
22 to undo.

23 But, the Administration is moving on

1 that front because we know that domestically,
2 parity for coal helps ensure the stability of the
3 U.S. electric grid, and it strengthens the energy
4 security and provides jobs in coal country.

08:49:49

5 But, parity also encourages a market for
6 U.S. coal abroad. That's why the Administration
7 has also moved to ensure that coal receives equal
8 treatment in terms of coal exports and financing
9 policies for overseas energy projects.

08:50:05

10 And, the good news is that today we're
11 seeing a revival in U.S. coal exports. The Energy
12 Information Administration recently noted that 2017
13 saw the largest year-over-year tonnage in use to
14 coal production since 2001, driven in part by an
15 increase in demand for U.S. coal in Asia and

08:50:25

16 Europe.

17 Overall, we saw a 58 percent increase in
18 coal exports from 2016. And, America's coal is
19 going to places you wouldn't have expected just a
20 couple of years ago; Ukraine, for example, which
21 underscores the possibilities of new markets for
22 coal.

08:50:40

23 This, again, is a key pillar of America,

1 of President Trump's America First energy plan.
2 So, regulatory reform and exports, those are just a
3 couple of ways the Administration is moving forward
4 the president's goal for coal.

08:51:02

5 But, while smart policies are,
6 themselves, technology development, the kind of
7 innovation that reflects the new energy realism is
8 also essential to getting us where we need to be,
9 and that's why the President strongly supports the
10 development of technologies that will help ensure
11 this coal's future, its next chapter, and that its
12 next chapter will be as robust as its past.

08:51:17

08:51:34

13 And, this is where my office is playing
14 a significant role. Frankly, I think this is an
15 exciting time.

08:51:49

16 We are at the beginning of the next
17 cycle of coal technology advancements, and we have
18 the opportunity to make great strides in efficiency
19 and cost improvements to the existing fleet, and to
20 accelerate the development of transformational
21 technologies that will pave the way for the coal
22 plants of the future.

23 Our budget request for Fiscal Year '19

1 is designed to help meet these goals. And, I think
2 it's worth taking a few minutes to highlight our
3 priorities, and how and where we plan to focus
4 these resources, these taxpayer dollars.

08:52:12 5 The overall administration request from
6 the Office of Fossil Energy is 697 million. And,
7 the lion's share of that, 502 million, is targeted
8 toward fossil energy R&D, which includes funding
9 for R&D on coal, oil, and natural gas, and the
08:52:31 10 national technology lab.

11 In addition to funding for FE, Fossil
12 Energy R&D, we're also requesting 105 million for
13 petroleum research. I want to point out that the
14 president's request for Fossil Energy R&D includes
08:52:49 15 an additional 200 million for clean-coal R&D, made
16 available in the recently passed bipartisan budget
17 Act.

18 This is a significant bump in funding,
19 and it speaks volumes about the president's support
08:53:00 20 for what we're trying to do in coal search, and his
21 strong support for coal. So, we've requested 343
22 million for our coal R&D, which, again, includes
23 that additional 200 million.

1 In the Budget we'll see this under a new
2 name. It's called Advanced Coal Energy Systems,
3 and the CCSU Program.

08:53:25 4 This program reflects our priorities on
5 R&D to improve the efficiency and reliability of
6 existing fleet, coal fleet, while developing the
7 advanced technologies of processes that are
8 necessary for the next generation of coal power
9 plants.

08:53:40 10 I want to take just a couple minutes and
11 explain the new emphasis on advanced coal energy
12 systems, which we refer to as ACE systems. As we
13 all know, the existing fleet is aging.

08:53:57 14 We basically stopped building coal-fired
15 power plants in the 1970s. So, about 80 percent of
16 the fleet is now around 40 years old.

08:54:15 17 And, the backbone of the fleet, those
18 plants built in the 1970s, plants like Point
19 Pleasant's power station, two supercritical boilers
20 which, by the way, I started up back in the late
21 1970s.

22 I was proud to cut my teeth on the start
23 of those boilers, and I've got to tell you, I was a

1 little bit sad when I read in the morning clip this
2 FirstEnergy was going to sell them and cut them
3 down.

08:54:34

4 I spent a lot of hours on those plants;
5 none of them wasted, by the way.

6 There's no question that low-cost
7 natural gas hastened the retirement of, or hastened
8 the retirement of coal units. But, in addition to
9 that, these plants are simply getting older.

08:54:53

10 So, we will face challenges with both
11 efficiency and lower capacity factors as this
12 equipment ages. So, if you're a plant operator,
13 you've got aging equipment, low-capacity market
14 payments, and regulatory uncertainty.

08:55:08

15 It simply makes it hard to justify
16 capital investments in these units. That's simply
17 the way it is at this moment.

08:55:25

18 However, despite the argument from some
19 that coal is going away, perhaps not even needed,
20 the fact is that coal continues to be a critical
21 part of our electricity grid and energy production
22 around the world.

23 Case in point: Remember the recent

1 spell of extreme cold, the Bomb Cyclone? It
2 affected five independent system operators.

08:55:51

3 Coal was critical to meeting the power
4 demand across the affected area. In fact, the
5 recent study done by NETL, -- We talked a little
6 bit about it last night. -- found that coal
7 provides 55 percent of the overall power generation
8 needed to supply the six basins that NET has
9 studied.

08:56:03

10 And, I would suggest that you all go on
11 the web site and take a look at that report. It is
12 quite well done.

08:56:18

13 I mentioned last night, I will mention
14 again, that Peter Balash was the -- sitting right
15 over here, was one of the key authors of that. So,
16 if you have any questions, please see Peter.

08:56:32

17 The report also warns against
18 overestimating the Nation's ability to respond to
19 these kinds of weather events if the current rate
20 of coal plant retirements continue.

21 We got through the Bomb Cyclone okay,
22 but what happens next year or the year after if we
23 continue to see retirement, and not only of coal

1 plants, but also nuclear.

2 So, the idea that we can take a critical
3 generation source like coal off line doesn't make
4 sense, and, in fact, is a fantasy. The reality is
08:56:59 5 that we need to upgrade or existing coal fleet to
6 make these plants more efficient and keep them
7 competitive, to extend their lives, and to make
8 sure that they can operate on the grid that is
9 accommodating more and more intermittent renewable
08:57:15 10 generation.

11 And, we need to make sure that they can
12 operate until the next generation coal-fueled power
13 plants are commercialized and come on line. So,
14 while we're attending the existing coal fleet, we
08:57:29 15 also need to get moving on the next-generation coal
16 plants to provide power plants for the next
17 generation.

18 So, we need to focus on the technologies
19 that are built of coal-fired power plants of the
08:57:41 20 future, plants that are cleaner, very efficient,
21 and have a smaller footprint. That's what the grid
22 needs now as it evolves with the renewables.

23 So, the ACE System Program springs from

1 the need to develop solutions where improving
2 efficiency, reliability, and the footprint of the
3 existing coal fleet while laying the groundwork of
4 the coal plants of the future.

08:58:00

5 Under the ACE Systems Program we will
6 target a suite of advanced processes and
7 technologies to improve the efficiency and
8 competitiveness of the existing coal plants. We

08:58:13

9 will also prioritize the rebuilding of our power
10 generation infrastructure, focusing on technologies
11 to stand up to next-generation coal-fueled power
12 plants.

08:58:26

13 To be able to complete, compete with
14 other sources of power generation, and to overcome
15 siting, operating, and logistical constraints, the
16 constrained, the deployment of large-scale plants,
17 these future power plants will need to be more
18 modular, in the range of 100 to 300 megawatts; --
19 We're still looking at that with, to understand the

08:58:44

20 best size range. -- high-efficiency, more than
21 40-percent efficient; and nimble and flexible.

22 And, what I mean by that is they must be
23 able to load follow to meet the demands of the

1 evolving grid.

2 So, under the ACE, the focus of the R&D
3 is on power generation efficiencies, advanced
4 systems and controls, and other novel constraints,
08:59:08 5 advanced coal processing to help develop common
6 data, common database coal combustion, on coal
7 combustion phenomenon.

8 We're also part of the work on things
9 like advanced materials, advanced combustion
08:59:20 10 gasification R&D, including proof-of-concept and
11 lab-scale modular gasification systems, and
12 advanced turbine components.

13 We also want to expand our work on
14 supercritical CO2 power production to improve
08:59:40 15 efficiency, significantly reduce the size of future
16 power plants, and reduce the costs. Right now GTI
17 has a project underway in San Antonio to design,
18 build, and operate a ten megawatt electric
19 supercritical CO2 pilot plant.

08:59:52 20 This project will provide lessons in
21 incubation, and we expect that additional R&D in
22 this area will help lead the commercialization of
23 these power cycles. And, of course, we continue to

1 work on carbon capture, storage, and utilization
2 technologies.

09:00:16

3 The reality is that 75 percent of the
4 cost of CCS is tied up in capital; another ten
5 percent in compression. So, the big nut to crack
6 here is reducing the cost of capture.

7 We hope we can reduce it by about 50
8 percent -- We think we can. -- where we ultimately
9 get the price down to about \$30 a ton.

09:00:29

10 It's a hard goal to reach, but we're
11 looking at advanced technologies that will have the
12 potential to get us there. Having said that,
13 because of the cost, retrofitting existing plants
14 with CCS is a real challenge.

09:00:45

15 Now, there could be a business case if
16 there's an opportunity to enhanced coal recovery
17 using CO2, especially if we get the cost down, and
18 that, combined with the tax credits. Otherwise,
19 quite frankly, it's very difficult for others to
20 take on that cost.

09:01:05

21 So, I want to get back to what we want
22 to do to increase efficiency of these plants. If
23 you increase the efficiency, you reduce the

1 emissions.

2 So, higher efficiency could ultimately
3 make these plants better candidates for CCS
4 technologies. But, we will continue R&D on CCS
09:01:21 5 technologies, which, again, can provide CO2 for
6 enhanced oil recovery, or for feedstock for fuel,
7 polymers, fertilizers, and other valuable products.

8 And, speaking of valuable products, the
9 rare-earth element effort is continuing, evaluating
09:01:38 10 rare earths in both coal waste and coal combustion
11 byproducts. We want to build on that success, much
12 of which was started by people in this room.

13 Our focus is on advancing domestic
14 production of rare earths, and standing up critical
09:01:54 15 materials, a critical-materials initiative, which
16 would encompass related minerals.

17 By the way, I just want to note that the
18 National Energy Technology Lab and the Oak Ridge
19 National Laboratory recently signed an MOU to
09:02:10 20 collaborate on research to expand the use of coal.

21 So, for instance, we'll be exploring
22 ways to use coal to develop products like fibers,
23 nanofibers, nanocarbon catalysts, and other

1 structural and functional materials.

2 So, the bottom line here is that we're
3 looking at a lot of exciting research that could
4 lead to a whole new prop-, value proposition for
09:02:32 5 coal, and to new industries and new jobs in coal
6 country.

7 So, at the end of the day, new
8 technologies need to be tested and proven,
9 innovative processes need to be refined, advanced
09:02:44 10 systems to convert coal and CO2 into valuable
11 products need to be in place, and the groundwork
12 needs to be laid to stand up for next generation of
13 power plants.

14 The ACE Systems and the CCS Program will
09:02:56 15 help us do just that. It will position the
16 Department to help revitalize the coal industry,
17 and provide utilities, rural cooperatives, and
18 independent power producers these advanced
19 technologies necessary to support a secure,
09:03:12 20 reliable, and resilient power grid.

21 So, that's the thrust of our coal energy
22 program. For the next few minutes I want to talk
23 about an exciting area that we want to spend more

1 time on, and that's big data.

2 We've got tremendous computing power
3 across our national labs, and we have just begun to
4 tap into that incredible asset that we have. So,
09:03:39 5 there is a lot of work that we're going to be doing
6 using big data, using machine learning so that we
7 can do things at the Department more efficiently,
8 quicker, with less cost.

9 And, also, these supercomputers, or
09:03:57 10 these high-performance computers are going to be
11 and already are available to industry for your use.

12 So, examples: We've got the NWRAP tool
13 set. I think it's the most complete suite of
14 models ever assembled to assess the geological
09:04:18 15 integrity of a risk performance of CO2 storage sites
16 related to potential ground-like activity and
17 ground motion.

18 These tools support industry and provide
19 technical insight to regulatory stakeholders as
09:04:34 20 they design and implement geological storage,
21 carbon storage projects to sequester large volumes
22 of CO2.

23 We've also been working on the carbon

1 capture simulation initiative, or CCSI. It's a
2 partnership with national labs, universities, and
3 industry to develop, demonstrate, and deploy new
4 computational tools and models to accelerate the
09:05:01 5 development and scale-up of new carbon-capture
6 technologies.

7 This initiative includes the development
8 of data management, software engineering, code
9 parallelization (sic), and interface development.

09:05:10 10 So, we've seen the value and the potential of big
11 data in our coal program.

12 And, as I mentioned, there's more to do,
13 and an increasing opportunity to use this
14 high-performance computing capability. So, that's
09:05:27 15 why I think it's important to try and see over the
16 horizon and to use all of the tools that we have
17 within the federal government to allow us to meet
18 the needs of what's coming in the next ten to 15
19 years.

09:05:47 20 So, now let me just circle back to what
21 I mentioned at the beginning of my remarks, and
22 that is that I do think there's a lot of reason to
23 be optimistic when it comes to coal: Our president

1 and administration that supports coal, regulatory
2 reform to a level playing field, increased exports,
3 technology development to upgrade our existing coal
4 fleet and pave the way for the plants of the
09:06:15 5 future.

6 So, in a number of ways we're seeing a
7 comeback for coal. We still have a long way to go
8 and a lot of work to do, but for our part we're
9 going to be carrying out a lot of exciting and
09:06:29 10 important research.

11 But, we cannot do this alone. We will
12 continue to need industry's help, its buy-in to
13 secure coal's future.

14 The coal industry has always risen to
09:06:42 15 the challenge, and I know that you will do so
16 again. And, as always, we'll ask for and welcome
17 the National Coal Council's valuable input and
18 partnership.

19 So, you can be sure that we will
09:06:55 20 continue to work closely with you to engage the
21 expertise of the people in this room and outside
22 this room that are involved in the coal space as we
23 work to ensure that coal has a strong future.

1 So, on behalf of the Department of
2 Energy, I want to thank you for your valuable and
3 your important contributions, and I look forward to
4 working with you. Thank you.

09:07:18

5 (Whereupon, applause was had.)

6 MS. GALLICI: Thank you, Steve. We have
7 time for a few questions, if anyone has a, a
8 question that they would like to, to pose to, to
9 Steve at this time.

09:07:37

10 Steve, can you talk a little bit about
11 the national labs and what's going on with some of
12 the, the, the changes that are underway at the, at
13 the Department for, for consolidating some of their
14 initiatives at the, at the labs?

09:07:55

15 ASSISTANT SECRETARY WINBERG: Sure. We
16 -- One of the things that, when I, I came into the,
17 the job, having worked both with Headquarters and
18 with NETL, and some of, and my time with Battelle
19 working with BNNL and Oak Ridge and Sandia and

09:08:14

20 others, one of the things that I think we need to
21 do is much more collaboration between Headquarters
22 and between NETL, the NETL and the other labs.

23 I've mentioned that, the MOU that we

1 have with Oak Ridge, because that collaboration is
2 so very important. There's so much expertise
3 spread across our national labs, and so by working
4 in a more collaborative way, I think we can move
09:08:42 5 the ball further down the field faster.

6 And, I came into the job thinking this.
7 I came out of industry.

8 You all know, if you work together
9 you're going to achieve more than if you stovepipe
09:08:55 10 yourself. One of the things that the first meeting
11 that I had with the Secretary where he brought in
12 the, the Management Team at DOE, he told us that --
13 He was very clear.

14 He said: To the extent that there are
09:09:12 15 silos within the DOE, tear them down. There's no
16 time, there's no interest, and there's no energy in
17 having those silos.

18 Now, I'm not naive enough to think
19 that's just going, silos are just going to vaporize
09:09:30 20 and we're all going to be working in a very
21 collaborative way. But, I can tell you that we are
22 making good progress.

23 I'm seeing it at Headquarters. I'm

1 seeing it at the national labs.

2 And, I think it's very healthy. And,
3 probably most importantly, it helps ensure that we
4 are spending your taxpayer dollars in the most
09:09:50 5 efficient way that we can.

6 And, so, that's a big change, Janet,
7 that I'm seeing. And, it's easy for me to get
8 behind. I love it.

9 MR. McCONNELL: Mr. Secretary, Chuck
09:10:05 10 McConnell from Rice University. Can you --

11 ASSISTANT SECRETARY WINBERG: Yes, Mr.
12 Secretary.

13 MR. McCONNELL: We all know that the
14 growth for coal internationally is strong. And,
09:10:15 15 and, can you give us a sense and, as you've
16 traveled with the Secretary, in terms of your own
17 Department, as well as the Department of Energy,
18 what, what are our, what's our strategy
19 internationally to be able to get this technology
09:10:30 20 globally deployed to work with international
21 companies, to work with international companies?

22 ASSISTANT SECRETARY WINBERG: Great
23 question. I mentioned in my remarks we more or

1 less stopped building big coal-fired power plants
2 in the early '80s.

09:10:56

3 There were a couple we built, and we
4 built maybe half a dozen since then. The Chinese
5 and the Japanese have taken on that market.

6 They're the ones selling new coal-fired
7 power plants in developing countries. It's sad to
8 say, but we simply are not.

09:11:15

9 So, they're ahead of us in that game.
10 Rather than try and chase them to the finish line,
11 that's why I want to move forward on modular
12 coal-fired power plants.

09:11:31

13 As I mentioned, A, it's what our grids
14 need now as they evolve with more intermittent
15 renewables coming on line. But, to Chuck's
16 question, more importantly, there is an export
17 market for those small modular power plants in
18 underdeveloped developing countries.

09:11:49

19 As their grids evolve they aren't going
20 to build their grid like we did starting back in
21 the '30s. It's going to be a different grid.

22 It's going to be a more nimble grid.

23 Who knows what we might see.

1 We might see microgrids developing in
2 underdeveloped countries. And, so, it is these
3 small modular coal-fired power plans that I think
4 are an opportunity for a U.S. export that we
09:12:13 5 haven't seen since the late '70s, quite frankly.

6 And, I think there's great opportunity
7 there for us to develop and then export that
8 technology, as well as use it here at home. Thank
9 you for the question.

09:12:28 10 MR. CASSADY: Mr. Secretary, John
11 Cassady, Vice President of Legislative Affairs with
12 the regional Rural Electric Co-op Association.
13 Enjoyed your remarks.

14 My question is: With respect to
09:12:41 15 Congress, with, with some recent successes in the
16 carbon capture and sequestration space with, with
17 the language that was championed by Senator
18 Heitkamp that took a ride on the extender's package
19 on the bipartisan budget bill, and then with, with
09:13:03 20 this week's introduction by Senator Barrasso of the
21 USE IT Act, my question is:

22 How are, how are these bipartisan
23 proposals and solutions viewed by this

1 Administration? Does it give the Administration
2 hope for future successes on the Hill?

3 ASSISTANT SECRETARY WINBERG: I
4 certainly hope so. I think so; yeah.

09:13:29 5 Any positive move forward that allows
6 fossil energy in general to be more competitive is
7 a positive and, and I think viewed that way by the
8 Department and by the Administration. Absolutely.

9 MS. GALLICI: Other questions?

09:13:50 10 AN ATTENDEE: Hi. Steve Ballause
11 (phonetic) with Advanced Resources.

12 With the passage of the 45Q legislation
13 and a six-year time window in which to start
14 breaking ground, how has that shifted some of the
09:14:07 15 priorities for getting demonstration plants for
16 other technologies ready for investment?

17 ASSISTANT SECRETARY WINBERG: I think I
18 can answer that qualitatively. Our focus is on
19 early-stage research.

09:14:27 20 So, that, that's why when I talked about
21 what work we're doing in CCUS, it is on reducing
22 the cost of capture. Commercialization of CCUS for
23 expanding that out to 45Q largely is up to Industry

1 to make that happen.

2 The DOE can support it. We can help it
3 in certain ways, but that's Industry's
4 responsibility and call.

09:14:59 5 So, what I'm hearing anecdotally is that
6 there is a good deal of interest in 45Q, and that
7 there are companies out there, entities, people out
8 there that are looking to instal CCUS, primarily
9 for DOR, but there is even some talk about
09:15:23 10 sequestration.

11 At \$50 a ton is likely a little bit
12 tight, but people are talking about it. People are
13 looking at it.

14 People are doing the analysis. So, I
09:15:34 15 think that's -- What I'm hearing around the
16 industry seems to be very positive.

17 And, hopefully that 45Q will be, will
18 move some of these projects along, some of them
19 that have been in the works or people have been
09:15:49 20 talking about them for several years now. Maybe it
21 will get them over the finish line.

22 I certainly hope so. And, I -- And, I
23 have some optimism about it.

1 MS. GALLICI: Steve, thank you so much.
2 We greatly appreciate your being here and spending
3 so much time with us, and we're looking forward to
4 working with you on the two reports that Secretary
09:16:10 5 has given us.

6 And, I know you'll be there in support
7 of us, and we greatly appreciate that. So, thank
8 you.

9 (Whereupon, applause was had.)

09:16:25 10 ASSISTANT SECRETARY WINBERG: Well, all
11 votes are in. It was a unanimous decision for both
12 candidates, as verified by Doug Matheney, and so I
13 am pleased to announce that Deck Slone, from Arch
14 Coal, will be the Chair of the NCC.

09:16:52 15 Congratulations, Deck.

16 (Whereupon, applause was had.)

17 ASSISTANT SECRETARY WINBERG: Vice-Chair
18 will be Danny Gray.

19 So, Danny.

09:17:01 20 (Whereupon, applause was had.)

21 ASSISTANT SECRETARY WINBERG: So, on
22 behalf of all of us, we thank you for your future
23 service at the NCC. And, I think at this point I'd

1 like to call on the Chair to provide, the new Chair
2 to provide us with an update of some things that
3 NCC is working on, and then to introduce our next
4 speaker.

09:17:34

5 Deck.

6 THE CHAIR: Well, thank you. Thank you,
7 Steve.

09:17:47

8 I'm looking forward to telling my mother
9 that it was an absolute landslide. I'll not show
10 her the ballot.

09:18:02

11 But, thanks, thanks, Steve, for those,
12 those good and inspiring remarks, and really for
13 your great visions and work in fossil energy
14 generally, but for coal specifically. And, I speak
15 for the entire Council when I say how appreciative
16 we are for your leadership, and how appreciative we
17 are that you've agreed to serve as the NCC
18 Designated Federal Officer.

09:18:09

19 It's tremendously fortunate to have a
20 past Council member and one of our own in that
21 role. So, so, thanks for that, for all you've done
22 for this industry, and for this cause in the past,
23 and for what you're doing and, and seeking to do in

1 the future.

2 We really appreciate that. And, let me
3 say thank you, the members of the NCC, for electing
4 me to serve as Chair.

09:18:28

5 It is truly an honor, and I really
6 appreciate your confidence and support. I very
7 much look forward to working with Danny and that,
8 and, and, and in advising Secretary Perry on

09:18:41

9 coal-related issues, issues that are critically
10 important to our country's security, and to its
11 future prosperity.

09:18:50

12 I certainly will be here to take of the
13 mantle, Steve, on the subject of optimizing
14 existing fleets. We'll role up our sleeves and get
15 to work.

09:19:02

16 And, I think we do have a lot to say on
17 that subject. It really is -- It's an issue that's
18 been much on our minds, and was very glad that the,
19 that the Department and the Secretary and you are
20 aligned with that thinking, because there's,
21 there's, there's really nothing more important from
22 my perspective.

23 Appreciate your remarks on that as well.

1 Before I go ahead and introduce our next keynote
2 event I'd like to again acknowledge our immediate
3 past Chair, Greg Workman.

09:19:20 4 Over the past year Greg has done an
5 absolutely superb job in leading the organization.
6 We've sought to align our efforts with the new
7 Administration's goals and with the new
8 Administration's needs, and as, as, as Chair, has
9 welcomed Secretary Perry to our spring meeting last
09:19:35 10 year, which was a great thrill.

11 It was terrific to have the new
12 Secretary there. He's managed a record number of
13 NCC members.

09:19:47 14 He has overseen the NCC's recharting of
15 the team, and he's really laid the foundation for a
16 number of initiatives that we'll be working on here
17 and undertaking for the Secretary in the coming
18 year. And, he's done it all with, in his own
19 inimitable way, calmly and, and confidently, and
09:19:59 20 with great humor always intact.

21 Greg, we couldn't appreciate it more.
22 You've done a fantastic job and been a great
23 inspiration, and not just this past year, but,

1 really, long before that as you've guided the
2 Finance Committee for, for years, and with all your
3 great insights and input.

09:20:19 4 So, please, if everyone will join me in
5 thanking you.

6 (Whereupon, applause was had.)

7 THE CHAIR: One of the initiatives Greg
8 has directed is the launching of the new NCC study
9 for Secretary Perry on advancing U.S. coal exports,
09:20:30 10 as, as, as, as the Secretary has, has, has
11 mentioned, and as we discussed earlier.

12 NCC members have recently been informed
13 of that request, and to, and asked, we have asked
14 both Justin Borak (phonetic), of Peabody, and David
09:20:50 15 Gloss (phonetic) of Norfolk Southern, to cochair
16 that effort, and are looking forward to the good
17 work on that front.

18 We'll be hosting an organizational
19 meeting later this month, and plan to have the
09:20:56 20 report completed by the fall meeting in September
21 in Norfolk.

22 Of course, one of the prime export
23 markets for coal is the Pacific Rim. China is a

1 very strategic player in the coal market, but
2 equally important, a leader on a range of
3 coal-related issues.

09:21:14 4 And, to that end we're delighted to
5 welcome Dr. Anthony Ku, Director of Advanced
6 Technologies at the National Institute of Clean and
7 Low-Carbon Energy, or NICE, to, to the National
8 Coal Council and to our meeting.

09:21:29 9 NICE is the research division of China
10 Energy Group. Dr. Ku is responsible for R&D and
11 directing China Energy's strategic challenges
12 related to carbon emissions standards, operational
13 efficiency, and for long-term sustainability.

09:21:39 14 We won't go through the full bio, but it
15 is available on the web site, and so I certainly
16 recommend to you, recommend that to you. Dr. Ku
17 will be speaking to you today on China's efforts to
18 advance ultralow emissions coal power, a topic of
19 great interest to everyone in this room, I suspect.

09:21:54 20 So, with that, please join me in
21 welcoming Anthony Ku.

22 (Whereupon, applause was had.)

23 CHINA'S EFFORTS TO ADVANCE ULTRALOW EMISSIONS COAL

1 POWER:

2 DR. KU: All right. Good morning.
3 Assistant Secretary, Greg, Deck, Janet.

4 Thank you for the invitation to speak
09:22:11 5 today. I've really enjoyed the time that we've
6 had.

7 It's been very educational for me, and I
8 think there's a lot of common interest in coal on
9 both sides of the Pacific. I've been asked today
09:22:20 10 to speak about some of the things going on in China
11 specifically related to technology deployment in
12 the area of controls and also coal companies.

13 And, so, let me start off with a moment
14 of disclosure. I've been in my role for about a
09:22:32 15 year and a-half, so I'm very focused still on
16 learning my job.

17 What I've put together are some thoughts
18 organizing the four sections that I hope will be
19 useful. So, I'll start off by giving you a little
09:22:42 20 bit of background about China Energy and NICE, how
21 they fit together, and what my role is in this
22 overall picture.

23 I'll then talk a little bit about the

1 strategic landscape, kind of the priorities with
2 respect to energy, and then specifically the coal
3 sector.

09:22:55 4 What are some of the regulatory riders
5 that are really influence some of the things that
6 are going on there? And, then I'll spend on two,
7 two other topics, one going a little bit deeper
8 value on some of the technology deployment related
9 to air pollution controls, specifically the ry
09:23:08 10 primary emissions, SOx, NOx, particulate matter.

11 And then I'll go into a little to try to
12 understand the impact at this point. And, then
13 I'll wrap up with a brief overview of some of the
14 different plants with respect to coal conversion
09:23:19 15 that are operating under China Energy, again where
16 some of my team members are working to help
17 optimize the operations there.

18 So, let's get started. Or not. Oops.
19 Okay.

09:23:32 20 So, China Energy was formed last year
21 through the merger of two companies, Shenhua Group,
22 which is a mining company, virtually integrated
23 through power. That was where NICE was originally

1 was organized started; and China Huadian, one of
2 the top five electric utility companies in China.

09:23:56 3 So, China Energy Group is now the
4 largest electric supplier in China, roughly
5 a-third. You can read about the assets on the side
6 of the company there.

09:24:06 7 And, so, in order to calibrate these,
8 the company, we mine about 500 million tons of coal
9 per year. And, that's primarily, primarily from
10 the Shenhua legacy operations.

11 By generation capacity we have about 190
12 gigawatts of coal-fired power, and at the same time
13 we're sitting on about 30-plus gigawatts of wind
14 capacity. And, so, those are generated capacities,
09:24:22 15 not actual megawatt hours or kilowatt hours
16 generated.

17 And, then, our other division is
18 probably one of the largest ones in the world.
19 It's about 15 million tons of coal-fired per year.

09:24:29 20 So, that helps to tolerate the
21 fluctuations in the power supplies. It's a
22 state-owned enterprise guided by the China
23 Government.

1 But, within it there are a couple of
2 divisions, one of which is NICE, and that's
3 National Institute for Clean and Low-Carbon Energy.
4 It was founded in 2009, intended to be this sort of
09:24:45 5 hybrid where we're looking at gas technology into
6 the operation integrated into the group, and now
7 it's China Energy, to help us move forward in terms
8 of energy impact and those types of things.

9 Our current workforce is about 500
09:25:00 10 people, most of those located in Beijing. And, we
11 have three offices: Beijing, which is where the
12 headquarters are.

13 We have an office in Mountain View,
14 California. So, I split my time between Beijing
09:25:13 15 and California.

16 And, we have a small office in Germany.
17 That's a venture for solar power.

18 That's the advantage of having that
19 here. It works well for that area.

09:25:20 20 The work in our organization is split
21 into several different platforms, of which I'm one
22 of the platform leaders. So, here are the
23 platforms that are active.

1 So, catalysts, clean coal. Coal-derived
2 materials are things that you have heard about and
3 I think is common interest in this room.

09:25:36 4 Those are things that, that really look
5 at the existing operations. And, then we've got
6 the thinking about the economics, energy storage,
7 grid management, those types of things, and
8 hydrogen energy as a, as a transportation fuel
9 medium.

09:25:48 10 And, then, water treatment is primarily
11 focused on gray water treatment and storage. And,
12 there are other things some of the core
13 technologies could be used for.

09:25:59 14 So, those are what my colleagues work
15 on. I do the advanced technologies, so I have
16 responsibility for a couple of things.

09:26:11 17 And, I've listed those in vague terms
18 here on the chart. One of the things that I think
19 about is are the big improvements from existing
20 fossil fuels that we have.

21 So, it's primarily being responsible for
22 this, but also thinking a lot of about CO2 and where
23 that's heading. And, then, I'm also responsible

1 for pipelines.

2 So, those are other things that we
3 should be thinking about that we already have a
4 home for in our institute. So, I'm an incubator
09:26:29 5 for things like technology, incremental work, data,
6 things that are really sort of out there that may
7 eventually graduate to some of my colleagues in the
8 next couple of years.

9 So, that's how I fit that's how it in
09:26:41 10 the scheme of China industry. So, hopefully that's
11 of interest to you in terms of prologue and a
12 context for why I'm here.

13 The second thing I want to talk about is
14 to give you a sense of what the overall energy
09:26:51 15 needs for China. Again, this is my introspective
16 trying to think through:

17 What are the big drivers in the
18 landscape that are shaping policies, shaping
19 industry, what are the drivers that to what's
09:27:02 20 important in China. And, I think the starting
21 point of that, as some of you may be aware, are the
22 five-year plans that are established by the
23 Government.

1 So, the '13 five-year plan is available
2 on line in Chinese and in English. And, what I've
3 done is extracted what I think is some of the
4 salient points from that to try to give you some
09:27:18 5 sense of some of these and other areas where there
6 might be a little different.

7 So, I'm going to go through a few things
8 that I think are useful and relevant in the next
9 couple of minutes. Starting with the overall
09:27:29 10 energy landscape, by 2020 the goal is to have total
11 energy use growth to about five billion tons.

12 So, understand, that's the first goal.
13 So, there's a target for total energy use across
14 the entire economy.

09:27:42 15 When you break that down, you now look
16 at the different things like the fossil, nonfossil
17 share, and CO2. Those are sort of in a combination.

18 And then in oil and gas there's some
19 issues to think about, unconventional resources,
09:27:56 20 specifically a target around shale gas that's --
21 And, there's other things involved. But, again, I
22 wanted to give you the highlights just to think
23 about because some of the things going on around

1 the world also apply in China.

2 There's some things in China that make
3 things not exactly transferrable technologies that
4 we can dig into later if there's interest. In the
09:28:17 5 generation mix, coal's still the big player.

6 It will continue to be the big player,
7 but there is interest in supply and quality, and
8 around some of the other technologies. And, in
9 Round 4 I wanted to highlight one of the targets in
09:28:27 10 2020, which is an efficiency target.

11 And, that's expressed around coal, which
12 I've translated into an LHD efficiency. And, I
13 wanted to note that it is an efficiency which, I
14 think is more common in the U.S., but there are
09:28:47 15 drives towards efficiency making coal cleaner, but
16 also staying very much focused on coal as being one
17 of the primary focuses of coal as being one of the
18 primary sources of energy in China in the years
19 ahead.

09:28:55 20 Digging a little bit deeper into coal,
21 the area of coal mining, there's a drive towards
22 consolidating and driving efficiency in the
23 centers. So, there's a cap on the total output

1 that's, that's aspirational.

2 There's a drive for to be more
3 efficient. So, the number there of inefficient
4 capacity while also allowing the ramp-up of about
09:29:16 5 500 million tons of more efficient mining
6 capability, and also consolidating industry from
7 many, many small players, towards a medium number
8 of relatively large players down the road.

9 So, those are the drivers across the
09:29:30 10 coal-mining sector. And, that impacts sort of the
11 coal-mining aspect.

12 From a usage point of view, I've already
13 mentioned the 300 grams per kilowatt hour for new
14 plants. There's also an initiative to try and get
09:29:45 15 existing plants to about 310, although it's not all
16 exists plants.

17 There's a lot more nuanced target. But,
18 those are the targets.

19 "CHP" relates to "combined heating
09:29:57 20 power." So, thinking about permitting energy and
21 finding ways to use it more effectively.

22 And, then, ULV is something I'll come
23 back to later. ULV is ultra-low emissions value.

1 And, on the coal accountable side
2 there's the aspirational goals to modernize the
3 production and continue to build upon the successes
4 that have been demonstrated in China with respect
09:30:20 5 to large-scale coal conversion.

6 And, then, there's also some specific
7 capabilities for technical application for coal
8 gasification, for more work investigating
9 gasification cleanup, and, then, water treatments
09:30:30 10 to the environmental impacts of gasification, as
11 well.

12 But, really, looking to maintain that
13 total capability is giving China's energy mix and
14 it's resource as a green country. So, emissions is
09:30:42 15 something that I'd like to start to shift the focus
16 to a little bit more.

17 We've all seen pictures, I think, of
18 some of the, the smog that has rolled in over some
19 of the suburban cities. It's quite striking to see
09:30:54 20 on video.

21 In fact, it's more striking to see in
22 person. And, it is something that the Government
23 is taking very seriously.

1 And, so, in 2013, the State Council has
2 issued or issued an Order driving down the
3 particulate matter to 2.5 microns. Particulate
4 matter of 2.5 microns is small enough to lodge into
09:31:14 5 the lungs and, and cause cancer.

6 So, there's parts where LNG refers to a
7 specific urban region around Beijing. The parole
8 data and industrial data all are centered around
9 major cities.

09:31:26 10 So, these are additional targets that
11 are more aggressive. And, then, Beijing,
12 specifically, now there's a hard target that's part
13 of their target.

14 And, I'll come back to these targets and
09:31:34 15 how they're being addressed in a moment. In terms
16 of CO2 training, I spend a lot of time thinking
17 about that.

18 I won't have time to go into that today,
19 but right now in China they're on Phase 1 of a
09:31:41 20 multi-phase experiment.

21 So, Phase 1 involves seven targets in
22 which we have credits of an assigned treaty. By
23 2020, there will be the introduction of Phase 2,

1 which is a national target.

2 And, the information that we have is
3 that the entire country is going to be
4 participating in that. And, our target is about
09:32:04 5 550 grams of CO2 per kilowatt hour of electricity.

6 And, just to calibrate you, right now
7 most power plants are working at 800. You're
8 looking at a very substantial drive towards
9 reducing CO2, and also try to begin to address that
09:32:21 10 issue. Just last month, as a consequence of the
11 Party Congress, a new ministry within the Chinese
12 government was announced, the Ministry of Ecology
13 and Environment.

14 And, that's essentially now sort of an
09:32:34 15 empowered environmental group which is responsible
16 for air, land, and water quality. And, so, that's
17 still being figured out, how, how that will occur.

18 But, that's something that will be on
19 the landscape and that will be increasing the
09:32:46 20 monitoring of energy production and its impacts to
21 the environment.

22 Last thing I want to touch upon is some
23 of the recent priorities that have been laid out in

1 the five-year plan. And, these are, again, are
2 extracted records in the plan.

3 These are in the clean coal utilization
4 space. A lot of these are relatively
09:33:08 5 self-explanatory.

6 I want to call your attention to the
7 third one, the low- and medium-temperature
8 properties, and the fourth one. These are the
9 things that are most relevant to be discussed in
09:33:21 10 this, this meeting.

11 And, there is work, primarily driven by
12 the administrative science and technology. But,
13 those are things that, that currently are being
14 funded within China's structure.

09:33:33 15 So, with the time that I have left I'd
16 like to dig a little bit deeper into the two topics
17 that, that are sort of the reason I was invited
18 here, which is to talk about what's going on with
19 respect to air pollution, and, so, on the other
09:33:51 20 hand, with the time I have after that, the
21 coal-to-chemical conversion.

22 So, the way I'd like to do that is,
23 rather than give you numbers or, or just general

1 statements, I'd like to dig a little bit deeper
2 because this is an area where I have a team.

3 And, so, the acknowledgments here are
4 for members of the team. So, let me start off with
09:34:07 5 the targets.

6 So, these are numerical targets for
7 SOx/NOx. Special areas refers to some of those
8 urban areas that we spoke of earlier.

9 Referral environments are sort of the
09:34:23 10 aspirational targets of what your targets should be
11 able to do. And, for reference I've used natural
12 gas in terms of calibrating the, the quality of
13 these targets.

14 The installation refers to the mandate
09:34:37 15 that all power plants within China by 2020 should
16 be in compliance with these Regulations. And, so,
17 I have quotes FOR you from 2016, which is a little
18 bit dated, but I didn't have the 2017 numbers when
19 I put this chart together.

09:34:51 20 So, to the percentage of the power
21 plants where ULV retrofit has been, has been
22 completed. And, so, the latest I have on the
23 Shenhua side is we're close to being fully

1 compliant within the next year or two.

2 So, we'll be meeting that target of, of
3 having ULV technologies installed on all the plants
4 within the, the required time by the Government.

09:35:14

5 So, the study that I'd like to show you
6 is, is basically a, I think a commercial question
7 about if you're putting these technologies on power
8 plants to reduce emissions, how well are you doing,
9 and what's the impact ultimately on air quality?

09:35:28

10 That was the question posed to the
11 teams. We have this investment capital.

12 We were doing something. We know that
13 emissions are coming down, but is it making a
14 difference?

09:35:37

15 So, that, that's the question that I'll
16 now have spend a little bit on. When we did the
17 numbers, at least we did the Shanhua numbers, we
18 had to find out what the numbers said about what
19 was going on.

09:35:45

20 So, the data is, We went to 42 specific
21 units at 18 power plants at a variety of different
22 types of power plants, subcritical all the way
23 through to ultrasupercritical. And, we surveyed

1 the emissions coming out of those plants before and
2 after the installation of the ULV technologies.

3 Let me show you -- Before I do that, let
4 me show you the technologies. ULV technology is
09:36:09 5 not a single technology.

6 It, it's actually a suite of different
7 technologies that can be combined into various
8 colonies. And, over the 42 different areas of this
9 study, we had actually eight different pieces to
09:36:16 10 figure in.

11 And, so, I've looked at some of these
12 here. I think some of these will be very familiar
13 to people.

14 The SPC refers to a proprietary
09:36:29 15 technology that was developed in China, which is a
16 novel technology which, essentially, It tries to
17 take out sulfur as well as particulate matter
18 simultaneously.

19 So, it, it's something relatively new,
09:36:40 20 but it, it's been deployed in China. And, so far,
21 from all we have seen, the data suggests it's
22 pretty competitive.

23 So, this is a, a snapshot of raw data,

1 as well as stack data from one plant. So, on the
2 top row you see three charts.

3 The red and the blue show you the
4 performance before and after the ULV. The red is
09:36:57 5 the power plant before ULV.

6 The blue is the power plant after ULV.
7 The X axis is time, and the Y axis is essentially
8 is hardware. And, the first thing that probably
9 strikes you is that the red lines are all over the
09:37:09 10 place.

11 And, part of that is that is something I
12 think that, that it's fair to say that in China we
13 have over-capacity. We have load following.

14 We have the power plants really running
09:37:19 15 in fairly progressive positions. And, I think
16 that's useful metrically to show you how
17 problematic that can be.

18 The bottom of the chart's actually now
19 saying: Well, can we treat it all as the same
09:37:32 20 rather than ramping up and down? That actually
21 affects the amount of emissions that are coming up.

22 So, on this bottom side you're seeing,
23 again, data for NOx, SOx, and particulate matter,

1 where the X axis is tracking for the load level and
2 the Y axis is showing actually how much load you're
3 getting.

09:37:48 4 So, those lines, both of those lines,
5 basically now show you the load status. If I'm
6 running for a certain amount of power status or
7 not, or how much are you getting out of that.

8 So, these emissions factors are
9 comparable to U.S. emission factors. That's sort
09:37:58 10 of the same idea, where I think it's going to 42.

11 We're just over the line, representing
12 that initial spread, because there is variability
13 in the system. It starts to get into some of the
14 things that, that I really enjoy, but maybe I don't
09:38:12 15 need to speak too much into the tech with you guys.

16 Oops.

17 So, then, what we can do is now cross
18 from a single plant to 42. And, here what I'm
19 showing you is particulate matter data.

09:38:26 20 The left side of the board is before
21 ULV. The right side of the board is after the ULV
22 for all the power plants.

23 So, these are the averages, sort of the

1 emissions factor of the average. The red triangle
2 that you see is for each power plant and what that
3 specific power plant is expected to need from a
4 regulatory policy.

09:38:46

5 So, the bottom line is you're seeing
6 fairly good performance with respect to ULV impact.
7 Namely you're seeing the drop in the absolute value
8 of materials coming out, as well as a reduction in
9 the pollution.

09:39:02

10 We can plot that a different way, and
11 now what we're doing is averaging. If you think
12 about the bar chart, a highlight is actually the
13 factor related to how much pollution is coming out.

09:39:17

14 And, what I'm showing you is the
15 sequence of time to 2006, 2010, and our recent data
16 used, 2016. And, what you'll notice is there's a
17 dramatic drop in emissions.

09:39:36

18 And, again, that's something that you
19 would expect as you deploy across the whole fleet.
20 But, I think it's interesting also that we're now
21 able to quantitatively show in terms of quantity.

22 That's happening at these different
23 plants after we put the technology on board. But,

1 that's not the whole story.

2 At the end of the day, what we care
3 about is the quality of the air. And, so, one of
4 the things that, as we dug into this, what we found
09:39:55 5 is it's not the primary emissions that's driving
6 the smog in our area in China.

7 It's actually a combination of a lot of
8 different factors that are putting it in the
9 atmosphere. And, then, once it's in the air,
09:40:10 10 weather, weather happens.

11 Atmosphere. And, as a result, you
12 actually have a whole lot of concrete things that
13 occur that then will ultimately create the smog
14 that we experience.

09:40:21 15 And, so, what I'm showing here is that
16 if coal power is able to clean up its act. But,
17 that's a question that we worked with one of the
18 universities.

19 So, we brought some updated core data
09:40:37 20 and we asked them: Well, if you put in the reduced
21 emissions from coal, what happens?

22 So, let me show you some of the work
23 that we're doing there. So, what we're looking at

1 here is that exact study map that mapped that
2 activity.

09:40:52

3 And, we mapped this specifically for
4 areas around Beijing. Red is bad, and, then, white
5 is, is a little bit better.

6 And, what we found in these three cases.
7 One is what happened, happened, What happened if
8 you replaced all the power plants that existed at
9 these coal plants with ULV.

09:41:06

10 The middle one is if you didn't do
11 anything. You just left them to run as usual.

12 And, the last chart is sort of the
13 difference. How much better did you do?

09:41:15

14 And, so, it's kind of difficult to
15 interpret these if you're not used to doing it.

16 And, so, what I put on there is we're seeing about
17 five-percent decrease by putting on 100 percent
18 ULV.

09:41:25

19 And, so, we didn't really understand all
20 of those results, and, so, we're digging a little
21 bit deeper to make sure we understand all the
22 contributions and reasons why we came to that.

23 But, what we were trying to do is

1 isolate the points, because there's a connection
2 between the capital and the technology.

3 We want to make sure they're paying off.

4 We want to also have a dialogue with the Government

09:41:40

5 to make sure that regulatory burden that's put on

6 matches. So, for example, if there are multiple

7 contributors that are small, we want to help our

8 government to make sure we understand what is the

9 proper foundation for the burden you can put on

09:41:58

10 coal and the other contributors.

11 So, it's something we're working hard

12 on. It's something we're excited about because we

13 think it's valuable from a capacity point of view,

14 but more importantly, from a commercial and tax

09:42:10

15 point, as well as for the environmental and air

16 quality.

17 So, with the time that I have left, let

18 me take you briefly through a few things we've been

19 doing here. And, again, acknowledges some of the

09:42:18

20 people that have done the work that maybe you'll

21 see here.

22 This is a chart from one of my

23 colleagues around different things you can do with

1 coal if you're not going to burn it for power.

2 And, so, here's the, some areas that we've come up
3 with.

09:42:33

4 Of course, direct liquefaction from
5 coal, generating liquid, primarily. And, then
6 you're doing methanol from coal, so you're taking
7 coal, gasifying it to syngas and taking that syngas
8 and converting it.

09:42:46

9 And, the reason I highlighted these two
10 is that these correspond to coal power plants, or,
11 sorry, two coal-fired chemical plants that are up
12 and operating in China. So, let me step through
13 each of these very briefly, and then I'll conclude.

09:43:05

14 So, the first one is the plant, it's the
15 first, I think, large-scale coal liquefaction
16 plant. This was undertaken by Shenhua Chemical
17 Company before I joined.

09:43:20

18 It's nice. Being a technology
19 organization has helped various technological
20 issues along the way.

21 So, the basic idea is you start with
22 coal. You gasify it, water gas shifted and produce
23 hydrogen, and then that hydrogen is fed through a

1 reactor, a three-phase reactor which delivers
2 particles, coal slurry particles, or coal
3 particles, and then hydrogen.

09:43:38 4 And, then, the reaction occurs to
5 produce liquids. And, so, some of the technologies
6 were developed on the fly.

7 But, the take-away I'd like you to, to
8 notice was that this plant was, was started, at
9 least on, on paper, almost three decades ago. The
09:43:51 10 Phase 1 commissioning, which is the eleven tons per
11 year, started about a decade ago, and now we're
12 starting our second decade of operation here.

13 And, I think, although the plant is, is
14 operating really well, there are always, always
09:44:04 15 issues around technology issues. There are still
16 issues around reliability.

17 And, those problems will continue to
18 crop up. How can we increase yields?

19 And, one of the things I get to do is
09:44:12 20 look at these questions and think: How can we get
21 in and debug these to make it a better operation?

22 Similar story in the methyl ammonium
23 plant. Here, again you're doing a process diagram,

1 which is a little different.

2 You start with gasification, then moving
3 to the syngas, and then moving to the coke
4 reaction. And, then, ultimately, in this case,
09:44:32 5 the, this plant produces a fairly high yield of
6 polyethylene and polypropylene.

7 And, you can see the numbers there.

8 And, again, similar story.

9 Plant's been operating for a period of
09:44:41 10 time. Some of the initial kinks have been worked
11 out.

12 Based on the ongoing operation, which I
13 go is fairly standard in the industry, we can
14 always find opportunities to do better. And, so,
09:44:53 15 we've got support to try to help issues of
16 reliability, trying to bring in some technologies
17 that we think can target some specific issues
18 within the plant.

19 So, let me wrap up here. I'll leave you
09:45:02 20 with four take-aways.

21 One is that coal will continue to be
22 important. It's a primary resource in China, and
23 there's a lot of it.

1 We look at where we're at, it's still a
2 dominant player that I don't think will change in
3 the future, but I think there will be drives to try
4 to find how we can make coal cleaner. We all need
09:45:20 5 technology that can make that very rapidly
6 evolving.

7 And, so, the, the data leads, the, the
8 impacts, hard for science to keep up, but I think
9 it's important to really understand if you do
09:45:31 10 something together, it makes a difference in how
11 much.

12 Large-scale full-coal operations are now
13 starting to get to the phase where now we can
14 really drive towards, towards second-generation
09:45:39 15 technologies. In's strategic interest within the
16 country to move forward there.

17 And, for me, I kind of threw this in as
18 a plug for some of the work that I do, is that R&D
19 is an important piece. It's not, not the end game,
09:45:52 20 but it is an important regulator.

21 So, I want to try to make sure that we,
22 we study the, the right phase so that it's helping
23 to meet the energy needs with coal being in its

1 place.

2 Let me pause or stop there and, and take
3 any questions that you may have. Thank you for
4 your time, and thank you for the invitation to
09:46:07 5 come.

6 (Whereupon, applause was had.)

7 MS. GALLICI: Thank you, Anthony. As
8 I'm walking back to start the questions I just
9 wanted to thank you for calling your, your, your
09:46:20 10 institution "NICE."

11 I harken back to Steve's comment that we
12 need to revive coal instead of revile it. So, it's
13 nice to have something "NICE" when we refer to
14 coal.

09:46:29 15 Thank you very much.

16 MR. PURGERT: This is Rob Purgert,
17 President of Energy Industries of Ohio. I think
18 the 700 joules USE, the original plan was to bring
19 on line for 2020.

09:46:50 20 Is it still on track? And, second part
21 of the question is:

22 What percentage of the fourteenth year
23 plan, it's from 2014, would be going to the U.S.

1 technology?

2 DR. KU: So, the, the short answer is
3 that's not something that I actively work on, so I
4 don't want to give you an answer. So, so, I don't
09:47:11 5 personally work on it, so the work that goes on at
6 NICE is different from that.

7 So, I could, I could speculate and, you
8 know, and share chatter, but I don't think that's
9 necessarily productive. So, with the specific
09:47:24 10 question, "How far along is it?" I believe there's
11 R&D going on.

12 Beyond that, I don't feel I can answer
13 that after that. The second part of your question
14 is: How far along is the 14-year plan and how I
09:47:32 15 think if any of that is being made up?

16 I think the conversations around the
17 14-year plan are ongoing, but nothing official has
18 been released, so I can't really comment on how
19 those things are going at this time. So, again,
09:47:45 20 apologies to not be able to give you the right
21 answer.

22 MR. PALMER: Yeah, my name is Fred
23 Palmer. I've been involved in the U.S. coal

1 industry for a while, and been on the National Coal
2 Council for a lengthy period.

3 I, I have had the privilege and, and
4 honor, really, of, of traveling extensively in
09:48:06 5 China with Shenhua and, and many of the great
6 companies you have there developing your coal
7 resources, and National Coal Council, itself.

8 And, alternative uses for coal, we, we
9 have done extensive studies over the years in that
09:48:22 10 space. Our, our shale oil and shale gas
11 development here pulled that back.

12 But, with what's going on right now in
13 the fossil markets, oil particularly, I think
14 we're, we're going to see a resurgence of it. I am
09:48:36 15 chairing a subcommittee, a policy committee on new
16 markets for coal, and we use China, as you know, as
17 a mirror in terms of what can be done with coal,
18 and, and applaud what you have, what you have
19 developed there.

09:48:51 20 My question directly goes in the
21 coal-to-liquids, coal-material space. Are, are --
22 You continue to advance the agenda there with, with
23 respect to both, coal-to-liquids,

1 coal-to-materials.

2 And, how robust do you see that field
3 being going forward, given what's going on in
4 current fossil markets, oil markets?

09:49:15 5 DR. KU: Yes. So, thank you for the
6 question.

7 I think the idea of, "What else can we
8 do for coal besides use it for energy?" is, is one
9 that's relevant around the world. And, within
09:49:24 10 China, at least within NICE, there's active R&D,
11 both in terms of clean-coal technologies, as well
12 as converting coals to value-added materials.

13 So, the whole idea of liquefaction
14 residue, what we can do there, to fly ash, minerals
09:49:42 15 from, from coal. So, I know the U.S. is very
16 interested in there.

17 So, I think scientifically, at least
18 within our institute, a lot of interest on that.
19 The bigger question is:

09:49:52 20 Can you convert coal into liquids and
21 chemicals? And, I think, again, there's, there's
22 sustained interest there.

23 But, at the end of the day, you have to

1 balance the economics. So, the price of oil there
2 is always a driver in China, as it is in the U.S.

3 So, within China, the specific dynamics
4 I think are different, but there is sustained
09:50:15 5 interest to continue to look at these as a
6 strategic interest there, and also that the
7 operations that do exist are profitable.

8 But, I think the question as to how to,
9 to manage that uncertainty is something I'd refer
09:50:26 10 to the business people. But, from the technology
11 point of, of view, we're looking at different
12 things and are very interested in what's going on
13 around the world related to coal.

14 MS. KRUTKA: Holly Krutka, from Peabody.
09:50:42 15 And, I want to thank you so much. That was, that
16 was a great presentation.

17 I think your graph that showed the
18 impact of going to ULV technologies on the Beijing
19 area was really powerful, and it's, it's, it's
09:51:00 20 something that's, like, sorely needed in the
21 States. Everyone talks about we know that a lot of
22 emissions are from other industries, but it's
23 really easy to target coal-fired power plants in

1 the absence of that, right?

2 So, I think you were showing 4.5 percent
3 improvement by transitioning. And, so, shutting
4 down those plants maybe give you -- What? -- five
09:51:22 5 percent improvement.

6 So, you spend a lot of time and energy
7 to focus on just the tiniest sliver of the pie.
8 So, I'm -- I think it, it's a really powerful
9 statement that you've made with that graph.

09:51:36 10 And, I'm just wondering if you looked at
11 other areas? Did you find similar results?

12 And, if so, do you think that there's
13 any possibilities for changes in the, in the Policy
14 related to closing the coal-fired power plants in
09:51:50 15 some of those key areas?

16 DR. KU: So, thank, thank you for the
17 question. And, I think the -- I, I personally was,
18 was kind of struggling with, with the, with, with
19 whether there's been through that or not.

09:52:02 20 I think it's valuable to, to argue for a
21 national Policy where you're assigning
22 responsibility to all the different primary
23 sources. And, that's one of the reasons we

1 undertook the study is to say:

2 Can we have enough science to do policy?

3 And, and, there, I, I think the risk is that if you

4 show people a number like 4.5, that gets stuck in

09:52:22 5 people's head, and all of a sudden you move away

6 from the discussion about what are relevant things,

7 and it's a talking point.

8 MS. KRUTKA: Yeah.

9 DR. KU: So, I, I wanted to be ver

09:52:30 10 careful, because we are, we are doing the research.

11 We want to put in good science.

12 MS. KRUTKA: Yeah.

13 DR. KU: And, once we have the good

14 science, I think it's then valuable to have a

09:52:35 15 reasonable discussion with the Government within

16 China. So, we're not at that stage yet.

17 We're still evaluating our results.

18 Once we have those, we are planning to publish

19 those so international scientists and technologists

09:52:52 20 can look at those. And, then, from there I think

21 that there's a willingness to put the data out

22 there for you.

23 We haven't reached that stage yet. But,

1 again, I want to show that as sort of it's an
2 indication that there are some of these things
3 that, that we're specifically doing now on the
4 ground, at least, that I've announced over to try
09:53:05 5 to move things forward.

6 So, hopefully that, that's a long-winded
7 answer to your short question, but I think at least
8 within the context of where I'm operating, I think
9 starting from the technical basis and then
09:53:18 10 exploring the, the policy and business applications
11 is something that I, I've got a green light to do
12 from my CO, and also the leadership within the
13 company.

14 So, that's how we're trying to approach
09:53:28 15 the problem.

16 MR. KOKKINOS: At this point I'd like to
17 amplify -- This is Angelos Kokkinos, with the
18 Department of Energy. I just want to amplify
19 something that Holly said, and it's a very
09:53:43 20 important thing, and we're doing the right things
21 in terms of the impact of other sources on the
22 overall quality of air.

23 There's a wealth of information that was

1 developed in the '70s and '80s in the United States
2 that explains the impact of, for example,
3 hydrocarbons and emissions and sunlight, and things
4 like that.

09:54:07 5 So, keep on looking at that, because
6 that's, that's very important technology.

7 MS. GALLICI: Thank you. Let's --

8 AN ATTENDEE: May I make a comment?

9 MS. GALLICI: Yes.

09:54:17 10 DR. KU: Thank you for that comment. I
11 think it's, if, if it didn't come across during the
12 presentation, I think it's important to comment
13 that we really did pay very close attention to the
14 emissions.

09:54:26 15 So, the work that's been done in the
16 U.S. on emissions has been a great part of that
17 work again. So, -- And, part of it is that when we
18 looked at some of those, that data, we noted that
19 inside of China, because the situation was changing

09:54:35 20 so fast, the raw numbers that you put in are no
21 longer the right numbers.

22 And, that was, that was one of the
23 things that inspired the work I showed you today.

1 But, it is something I think is really important
2 that both side of the Pacific have a lot to learn
3 from each other, and so that's, this is a specific
4 case of, of that.

09:54:55 5 MR. THOMPSON: John Thompson, Clean Air
6 Task Force.

7 Great presentation. Could you comment
8 about Regulations that are perhaps under
9 development China?

09:55:03 10 We've heard discussion that maybe
11 beginning in 2020, emission rates or emissions on
12 CO2 from coal-fired power plants might go from, over
13 some period of time, in, say, maybe 900 grams per
14 kilowatt-hours, down to 550.

09:55:22 15 Can you -- Two questions. Can you
16 comment on how those Regulations are developing?
17 And, if they are passed, what does that mean for
18 exports of U.S. coal to China?

09:55:36 19 And, what kind of technologies should we
20 be looking at in order to export to, to meet those
21 kinds of restrictions?

22 DR. KU: Well, those are actually
23 questions that do keep me up at night. With

1 respect to the CO2 side, there's been a public
2 announcement of the target for the power companies,
3 the 550 per kilowatt.

09:55:58 4 So, that's target put out by the
5 Government, and now it's sort of up to Industry and
6 Regulators to work up how those happen. So, that's
7 one transferences that I'm learning about in terms
8 of:

09:56:13 9 How do things happen in China versus the
10 U.S.? So, it's something that's active. I can't
11 give you more specific detail on that.

12 With respect to your second question,
13 what are some of the technologies that we should be
14 thinking about, we have collectively, being the
09:56:23 15 world, and specifically the U.S. Again I want to
16 be careful, because I don't want necessarily to
17 constrain policy recommendations.

18 But, I've listed some of these things
19 for you. If you want to go deeper than the
09:56:37 20 five-year plan, actually I can give you. Certainly
21 in China the Ministry has benchmarks against what's
22 going on against the other world.

23 So, pay attention to things that are of

1 interest in DOE and U.S. and other things; not to
2 say that there's a direct correlation to the
3 technologies, but the core, fundamental technology,
4 let's say, is for, for a new cycle may be
09:57:06 5 interesting, but the specific demands on that cycle
6 will be different in China, and, as a result,
7 there's some, some unique development plans that
8 need to occur.

9 I've seen a lot of that in my career,
09:57:19 10 but, yeah, if you have a question.

11 MS. GALLICI: John was going to have the
12 last question, but, among the many perks associated
13 with being Chair of the National Coal Council is
14 you get to have the last question.

09:57:34 15 THE CHAIR: So, I like this job. Sorry,
16 John.

17 So, Anthony, thanks for that terrific
18 presentation. I've got -- And, you may not want to
19 stray to this, I realize, but, you know, obviously,
09:57:46 20 this level of technology has really been driven by
21 the country's needs.

22 But, obviously there's, there's value in
23 that, great value. And, whatever it is, there

1 clearly is value in that.

2 But, as, as you see progress being
3 driven in China, and as you see emissions coming
4 down, here's the speculation part. Can you
09:58:05 5 envision a time where Beijing uses its bully pulpit
6 a little more aggressively to say, you know:

7 Coal has made a lot of progress. We're
8 making great progress.

9 We're achieving significant things. For
09:58:18 10 the world to get to stabilization of carbon by
11 2050, we're going to have to have a low-carbon
12 fossil solution.

13 We need a low-carbon solution for coal.
14 We need to be investing in these areas.

09:58:29 15 Is there a scenario where -- Because I
16 do think that would change the international
17 dialogue in a significant way if China said, you
18 know, with 50 percent of the world's coal
19 production or more, in order to embrace this

09:58:45 20 technology, you know, embrace coal and embrace this
21 technology, it could be a massive change, I think,
22 in, in the way that the topic is discussed, and in
23 terms of the momentum for near-zero emission

1 technology.

2 So, if you dare venture into that, it
3 would be interesting.

4 DR. KU: Sorry, I actually don't dare.

09:59:04 5 But, what I can say is I think you do see certain
6 signals by very senior members in that regard.

7 There's a, you know, reduced limit to
8 it, and if you look at the sort of fraction of coal
9 in the energy market, I don't think you can

09:59:21 10 actually reach those targets without doing
11 something in coal.

12 I, I think that if you reach and start
13 to look at the next five-year plan, as we get
14 closer to that, you may see clearer exactly what
09:59:29 15 we're talking about.

16 (Whereupon, applause was had.)

17 THE ASSISTANT SECRETARY: Well, thank
18 you very much, Anthony. I'm sure that during the
19 break we'll have additional questions.

09:59:48 20 So, we are now going to take a, a
21 30-minute break, and I would ask you, because we're
22 about 15 minutes behind schedule, I think that's
23 okay, but I'd ask you to be back in your seats at

1 10:30 so we can have a prompt 10:30 start. Thank
2 you very much.

10:00:06

3 (Whereupon, at 10:00 a.m. ET those
4 present took a brief recess and returned, after
5 which, at 10:31 a.m. ET, the following occurred:)

6 ASSISTANT SECRETARY WINBERG: Ladies and
7 Gentlemen, it is 10:30. If I could ask you to take
8 your seats.

10:31:58

9 If I could ask people to take their
10 seats, it's the bewitching hour.

11 Janet, I'll ask you to take over the
12 podium and introduce our next speaker. Thank you.

13 MS. GALLICI: That you very much, Steve.

10:32:32

14 We're going to have a series of three
15 industry presentations now beginning, with Randall
16 Atkins. Randy is Chairman of the Board and Chief
17 Executive Officer of RAMACO Coal.

10:32:47

18 He's been involved within the
19 energy-related development and financing industries
20 for over 35 years. Just a great combination with
21 having that kind of investment experience and
22 technology.

23 RAMACO Coal, for those of you who don't

1 know, is a holding company for three coal-related
2 companies. One is RAMACO Resources, which is a
3 publicly traded metallurgical coal operator and
4 producer with operations in central Appalachia.

10:33:13

5 RAMACO Royalty is a private metallurg-,
6 well, mineral and infrastructure company, and
7 RAMACO Carbon owns roughly one billion tons of
8 thermal coal in the Powder River Basin. And, that
9 company is involved in the development, research,
10 and manufacture of, of various coal product
11 technologies, which is what Randy will be speaking
12 to us about today.

10:33:28

13 Randy is a brand-new member of the
14 National Coal Council.

10:33:39

15 So, we're pleased to welcome you, and
16 nice to see you jumping right in here.

17 And, I'd also like to thank RAMACO Coal
18 for their sponsorship of the National Coal Council
19 meeting, and we can thank Randy for the wine
20 service last night. So, can you please join me in
21 welcoming Randy Atkins.

10:33:52

22 (Whereupon, applause was had.)

23 CARBON FROM COAL:

1 MR. ATKINS: If I did this right. Well,
2 I'm delighted and honored to be here today to be
3 able to talk to you about something which we feel
4 has got some very positive long-range implications
5 to the coal industry.

10:34:16

6 Now, all of us in the coal industry know
7 the concept of fear. So, fear has a wonderful
8 ability to focus the mind.

10:34:33

9 And, several years ago we were dealing
10 with the twin demons of: How do you avoid
11 stranding roughly a billion tons of thermal coal?
12 And, similarly, how do you basically argue to your
13 investors that you can justify the amount of
14 capital to open a new thermal coal mine?

10:34:55

15 So, the model we have come up with is
16 the answer to that. And, the many groups which are
17 not quite as sophisticated as yours, we actually
18 prepare a clip to try to briefly explain what it is
19 we're trying to do.

10:35:11

20 So, Dave, if you could take it from
21 there?

22 (Whereupon, a video was shown, after
23 which the following occurred:)

1 MR. ATKINS: So, does coal, and thermal
2 coal, in particular, really have a future? As
3 someone from the investment background, we think
4 the Jury my still out.

10:38:07

5 I'm not sure that thermal coal will
6 necessarily be able, in the long run, at least, to
7 compete against renewables and gas in a race to the
8 bottom as the cheapest use to power. But, the
9 quandary, of course, is the U.S. is possessed of
10 the largest and the cheapest coal reserves in the
11 world.

10:38:28

12 The problem is that 95 percent of the
13 coal is used strictly for power. Only five percent
14 is used to make higher-value products, which we're
15 familiar with because we're in the met coal here,
16 and met coal sells for a much higher price than the
17 thermal coal.

10:38:43

18 And, indeed, in the west, it sells for
19 probably 20 times what Powder River Basin coal
20 sells for. So, our approach is to, in essence,
21 attempt to diversify as a coal company.

10:38:58

22 Since coal is the cheapest source of
23 carbon, there's an opportunity. The problem is,

1 the carbon products today are expensive.

2 They're expensive because they
3 principally are derived from petroleum. So, our
4 solution is really simple.

10:39:24 5 Let's use carbon from coal. So, our
6 objective as a company is to create high-volume,
7 high-margin product uses for coal from carbon.

8 The idea is to build an innovative
9 higher-tech future for coal that is somewhat
10:39:44 10 independent of power trends and environmental
11 issues. So, coal can be, we feel, very positively
12 disruptive.

13 So, carbon is becoming the dominant
14 advanced material. We have talked about it over
10:40:00 15 the last day or so in various forms.

16 There are carbon fibers, graphites, and
17 carbon masses. So, the trick is to make these
18 advanced materials for a lower cost from coal.

19 That, if it's achieved, can be very
10:40:19 20 disruptive. We think that they could replace or at
21 least enhance many basic metals like steel and
22 aluminum, basic building materials which we'll get
23 into in a moment.

1 And, carbon also, of course, has vast
2 application in chemicals which our last speaker
3 mentioned, as well as life scientists. All of
4 these uses are fast growing, game changing, and we
10:40:45 5 feel could potentially require large volumes of
6 coal.

7 In some cases, we have calculated some
8 of these uses could use in excess of 100 million
9 tons of coal a year, which, when we think about how
10:41:05 10 much coal the U.S. produces, it doesn't take a lot
11 to create entirely new demand influxes for our
12 industry.

13 So, who are we? We have quietly been
14 around for a while.

10:41:14 15 I, I jokingly say last year the head of
16 the New York Stock Exchange told me that my family
17 has the distinction of being the only group that
18 has had two members of the same family start
19 separate public coal companies. I don't know
10:41:31 20 whether that's a distinction or basically a
21 personality disorder.

22 But, 50 years ago my father was one of
23 the founders of Arch Coal, and seven years ago my

1 partners and I founded RAMACO. RAMACO has become
2 basically, as Janet mentioned, really a coal
3 conglomerate.

10:41:54 4 We have three separate operations. Our
5 flagship is called RAMACO Resources.

6 It's a public met coal company. We're
7 quite proud that we were the first new coal ITO
8 over ten years last year.

10:42:11 9 We're also very proud that we are the
10 only coal producer that I'm aware of that has
11 opened five new coal mines in the last 12 months.
12 I'll put a bit of a plug.

13 There's a Coal Age Magazine here. We're
14 the cover story of this month's edition that
10:42:22 15 describes our central Appalachian operations. We
16 well grow to produce roughly four to five million
17 tons of high-quality low-cost met coal.

18 Our other operation basically is a
19 royalty company which owns our assets, our met
10:42:39 20 reserves. And, the third is what I wanted to talk
21 to you about today, which is RAMACO Carbon, which
22 is based in Wyoming.

23 So, RAMACO Carbon, we have tried to

1 borrow a page, frankly, from the petroleum
2 industry. We are trying to vertically integrate a
3 coal company into, in essence, a coal tech company.

10:43:02 4 As far as we know, we are the only
5 strategic group that's pursuing an integrated
6 philosophy of having the resource, technology, and
7 manufacturing integrated into one, what I would
8 call ecosystem. We are incubating coal to products
9 made from carbon.

10:43:19 10 Our components are basically a large
11 reserve play we call the Brook Mine, which we're in
12 the final stages of permitting. It's near a lovely
13 town called Sheridan, Wyoming.

10:43:37 14 We're also building a research park,
15 which, candidly, we have modeled on the Research
16 Triangle down in Carolina, and it basically will
17 house, as was indicated, a variety of research
18 firms, university research groups, and strategic
19 partners where they will basically do research,
10:43:53 20 applied research, in essence taking carbon from
21 coal and developing commercial products.

22 We intend to have bench-scale operations
23 at the research center, which will then be, as I

1 call it, taken across the street to an industrial
2 park. We call the industrial park our ICAR.

3 It's about a 100-acre site, and think of
4 this as a mine-mouth industrial park where, in
10:44:24 5 essence, we will take coal from our mine, convey it
6 to plants, which in many cases will be utilizing
7 technologies developed at our research park.

8 So, this will, excuse me, is our trilogy
9 of what we have, integrating the resource, the
10:44:37 10 research, and manufacture. We are not alone.

11 We have some marvelous partners that we
12 are proud to be working with. Their names are
13 listed here.

14 Some of them are in the audience. We
10:44:51 15 are privileged to be also, of course, working with
16 the Department of Energy on a grant which we call
17 affectionately "Coal to Cars."

18 And, it, in essence, is to take coal and
19 use it as a low-cost precursor to make carbon fiber
10:45:08 20 to be used in vehicles. Our focus is basically to
21 target those uses which we think will ultimately
22 have both high margin propositions, as well as the
23 possibility of using large volumes of coal.

1 They are three-fold: Coal to chemicals,
2 coal to carbon fibers, and coal to building
3 byproducts. The key, as I mentioned earlier, is to
4 develop these products where they can basically
10:45:38 5 displace petroleum as the lower-cost feedstock.

6 Coal, we feel, has an incredible
7 displacement potential. It's basically able to be
8 used in advanced materials which can be made
9 stronger, lighter, and, in many cases, hopefully
10:46:00 10 cheaper than with petroleum.

11 As an example, I'll use carbon fiber to
12 demonstrate this. Carbon fiber is actually 50
13 percent of the weight of aluminum and four times as
14 strong.

10:46:14 15 It is 25 percent of the weight of steel
16 and twice as strong. But, the key is to use coal
17 to create a cost advantage to make carbon fiber
18 from coal as opposed to a petroleum precursor.

19 This slide demonstrates the displacement
10:46:33 20 opportunities. I had our staff go back and
21 basically do some calculations, which I've keep
22 asking them on it, "Are you really right?"

23 But, it's kind of like the difference

1 between horse shoes and darts. We don't have to
2 actually get it in the center to have a rather
3 dramatic effect on various materials markets.

10:47:03 4 If we could use even a fraction of the
5 amount of coal that is shown there, we have
6 something that could be very disruptive to our
7 industry.

8 This is a coal-to-products tree. For
9 those who are, who are history buffs, there are
10:47:11 10 even textbooks back in the 1920s which have various
11 derivations of this.

12 This has been updated a little bit to
13 some more modern products, but the interesting
14 thing is this tree grows a branch every time we
10:47:26 15 turn around. It is incredible the advancement of
16 new products that are potentially being able to be
17 made from coal.

18 So, start by trying to describe a few of
19 these. So, coal to carbon.

10:47:39 20 Carbon fiber's used today with
21 reinforced plastics to displace steel and aluminum
22 everywhere where light-weighting is important but
23 cost is not. The simple examples are fishing rods,

1 golf clubs, tennis racquets.

2 But, they're also used in commercial
3 aircraft. Boeing is, I think, using roughly 60
4 percent of the weight of the new Dreamliner from
10:48:02 5 carbon fiber.

6 And, of course, a large number of our
7 fighter jets are made with carbon fiber. The
8 problem, as I said, is cost.

9 Carbon fiber is eight times more
10:48:14 10 expensive than steel and twice as expensive as
11 aluminum. The reason, again, is its precursor
12 material is petroleum.

13 That today costs somewhere in the range
14 of \$15 to \$25 a pound. We think, and we are
10:48:29 15 optimistic, that we will be able to develop that
16 precursor to get to somewhat of a Holy Grail to
17 below \$10 a pound.

18 If we do, it could be a game changer as
19 a substitute for steel and aluminum. So, our use
10:48:46 20 is coal to cars.

21 So, roughly 100 million vehicles are
22 made each year. Less than 100,000 are made with
23 carbon fiber.

1 Again, the barrier is cost. If we can
2 solve the problem where carbon fiber becomes an
3 affordable alternative to steel, then we can move
4 from the niche market of carbon fiber into the mass
10:49:11 5 market.

6 This slide somewhat demonstrates our
7 evolution where we are now. There are a few number
8 of commercial cars, like BMWs, that are using
9 carbon fiber, but most are not.

10:49:24 10 Now, since Janet has told me that what
11 is shown at the NCC stays at the NCC, I will show
12 you the next slide, which is our version of
13 tomorrow's family car. Now, I'm afraid the
14 feathers are extra, but the, it does have a lot of
10:49:45 15 curb appeal.

16 This is, indeed, an all-carbon-fiber car
17 that's made by Mclaron. It's a bit expensive, but
18 that is the idea if we can make carbon fiber into
19 the mainstream.

10:50:00 20 Carbon fiber from coal is being used for
21 other things than cars. Our friends who are
22 working with us have a few more exotic forms of
23 transportation that they're working on.

1 I'm not sure if that is quite as
2 mainstream to be in a submarine, but it gives you
3 the possibilities. In terms of possibilities,
4 frankly the largest area that we think we may be
10:50:25 5 able to carbon niche is in building products.

6 They may well require larger amounts and
7 volumes of coal than even carbon fiber. The
8 possibility are endless for the product types.

9 We've listed three here which can kind
10:50:41 10 of give you a sense: Rebar, coal-based asphalt
11 roof shingles, and the ability to wrap
12 infrastructure to extend its life and structural
13 integrity.

14 Coal-to-chemicals, our last speaker
10:50:58 15 articulated a lot of what they're doing in
16 coal-to-chemicals. Our focus is really on advanced
17 manufacturing as it relates to 3D printing, which
18 I'll get to in a moment.

19 We feel 3D printing will be the next
10:51:12 20 main form of manufacturing. The prior speaker
21 mentioned the olefins market and some of the other
22 dynamics and other chemical feedstock which we
23 think create opportunities for coal-to-chemicals,

1 and we're exploring them specifically with Fluor,
2 who had have been involved with the sassal
3 development, as well as the former Ashland H-coal
4 operations years ago, as well as Western Research
10:51:40 5 and Southern Research, who are doing work in this
6 same area.

7 So, as I said, our focus in chemicals or
8 chemicals from coal is advanced manufacturing. We
9 have partnered with a very interesting group that
10:51:55 10 was funded by ventures that has basically blazed a
11 trail in high-speed 3D printing.

12 They have a patent on something that
13 they call CLIP, which basically uses ultraviolet
14 light, oxygen, and carbon resins to print solid
10:52:17 15 materials. I'll show you in a moment.

16 We have a production partnership with
17 Carbon 3D. We have actually taken delivery of
18 several machines here over the summer, and we will
19 be using those machines to make everything from
10:52:28 20 horse shoes to medical sensors.

21 And, we will also be using them to help
22 us learn how we can reverse engineer the
23 petroleum-based polymers into coal-based resins.

1 And, this type of manufacturing, as I've said, we
2 feel is the wave of the future is definitely not
3 smokestack.

10:52:56 4 There is our manufacturing center. That
5 is what a 3D printing farm looks like.

6 It's more sci-fi than what you're used
7 to seeing, but it is fascinating. These are s the
8 printers that we'll believe using.

9 They're called speed-cell 3D printers,
10:53:09 10 and I have a slide, actually, here. So, Dave, if
11 you could kick it off again.

12 This is transformers. The red is a
13 resin.

14 Underneath the platform is a (sic)
10:53:24 15 ultraviolet light. And, you have a
16 computer-designed mold.

17 So, the mixture of oxygen, light, and
18 resins create matter. So, somewhat in summary, the
19 way forward:

10:53:41 20 It has been tough for the last decade in
21 this industry. And, I think to survive and thrive
22 we have to think outside the box.

23 We have to do something perhaps a bit

1 different. So, our idea is to vertically integrate
2 into a coal tech company.

3 We are calling it our carbon valley.

4 And, we feel that uniquely in this country we have
10:54:05 5 both the abundance of the resource as well as the
6 abundance of the technology and prowess to
7 basically lead the way in terms of somewhat
8 reinventing the coal industry.

9 So, R&D obviously is critical, but R&D
10:54:19 10 by itself is not going to work unless it can lead
11 to commercial applications which can then have a
12 widespread use for coal.

13 As I said, we are, as far as we know,
14 the only strategic that is targeting this as a
10:54:35 15 high-tech venture, but the practical effect is that
16 unless it gets government support, you are never
17 going to be able to scale the opportunity because
18 you won't be able to accelerate the research.

19 So, in summary, it starts with a lump of
10:54:51 20 coal, but we feel it also involves the power of
21 carbon.

22 So, thank you very much.

23 (Whereupon, applause was had.)

1 MS. GALLICI: Do we have questions for
2 Randy? We can -- We have a few moments to take
3 some questions from the audience.

4 In the back.

10:55:15 5 MR. ATKINS: If they're hard I'll ask
6 one of my cohorts.

7 AN ATTENDEE: Arun (inaudible), and I
8 wanted to ask you a question. And, I assume making
9 carbon from coal is cheaper than making carbon by
10:55:31 10 separating from CO2.

11 MR. ATKINS: So, Charlie?

12 I will let my inhouse chemist be able to
13 give you the answer here.

14 AN ATTENDEE: Thank you very much.

10:55:51 15 Currently carbon fiber is primarily produced from
16 PANacrylic microPAN, and, which is really a, a
17 byproduct of the, after the cracking process for
18 petroleum.

19 And, cost range, anywhere from \$8.00 a
10:56:11 20 PAN to, you know, \$80 a PAN in some cases. We
21 think that by using coal-based pitch as the
22 precursor material, that we can get the cost of
23 carbon fiber below \$5.00 a panel; maybe

1 considerably less than \$5.00 a PAN.

2 And, so, to do that, one goes through
3 the process of making isotropic pitch and mesophase
4 pitch, and from the mesophase pitch you can spin
10:56:40 5 directly in a way that's actually easier than
6 spinning a PAN-based carbon fiber. So, we do think
7 the cost will be considerably less.

8 With regard to the CO2 question, I don't
9 know the answer to that question. It's, it's an
10:56:55 10 interesting thought if you could convert CO2
11 together with other materials into PANacrylic.

12 That, that may be something that's
13 worthy of a 45Q incentive grant. But, I don't
14 quite know the answer to that question.

10:57:16 15 MS. GALLICI: Any other questions?

16 THE CHAIR: So, so, thanks. Thanks,
17 Charlie.

18 Great presentation, and appreciate that,
19 that vision. Very, very inspiring.

10:57:43 20 I guess the question would be --

21 MR. ATKINS: I'm Randy. That's Charlie.

22 THE CHAIR: Well, Charlie, he answered
23 all the questions.

1 Sorry, Charlie. Sorry, Randy.

2 I know both of these guys.

3 MR. ATKINS: I used to have to pull him
4 out of the swimming pool.

10:58:03 5 THE CHAIR: Thank you. So, so, I guess
6 the question would be, you know, you pointed out
7 that, sort of the coal tree that we, you know, as
8 you say, dates back sort of to the 1920s.

9 I mean, what's the thing right now that
10:58:15 10 gives you the greatest sort of hope that this is
11 the right moment to sort of do some of these things
12 and, you know, realize these advances in sort of
13 coal materials, coal-based materials?

14 Is it, is it technologies and advanced
10:58:29 15 technology? Is it, is it, you know, data-related
16 in that higher costs for competing resources?

17 Are there, are there things that make
18 this feel like the right moment for that vision?

19 MR. ATKINS: I think the moment question
10:58:40 20 really goes to sort of an intersection of an
21 advanced materials and advanced manufacturing.
22 That's why I think this intersection right now is
23 an interesting period.

1 I think the feedstocks have been
2 expensive for a long time, but I think for a
3 variety of reasons, now is the point where we feel
4 like there could be some, some ground-breaking
10:59:02 5 research to try to bring these costs down in a way
6 that can use large volumes of coal.

7 MS. GALLICI: Thank you, Randy.

8 (Whereupon, applause was had.)

9 MS. GALLICI: Our next speaker this
10:59:18 10 morning is Dan Connell. Dan is Director of Market
11 Strategy and Business Development for CONSOL
12 Energy.

13 CONSOL, as most of you know, is a
14 producer and exporter of thermal and metallurgical
10:59:33 15 coal from the North Appalachian Basin. Dan is
16 responsible for developing new marketing
17 opportunities and applications for CONSOL's
18 products.

19 He's also worked in the company's
10:59:45 20 Research and Development and Strategy and
21 Engineering Groups where he focused on the
22 development and, and economic analysis of advanced
23 power generation and environmental control

1 technologies.

2 He has worked on a \$33 million clinical
3 technology demonstration project sponsored by the
4 U.S. Department of Energy. So, quite a breadth of
11:00:12 5 experience.

6 Would you please join me in welcoming
7 Dan Connell.

8 (Whereupon, applause was had.)

9 OPPORTUNITIES FOR NEW TECHNOLOGY IN COAL MINING AND
11:00:14 10 BENEFICIATION:

11 MR. CONNELL: Well, good morning,
12 everyone.

13 And, and, thank you, Janet, for that
14 introduction and for inviting me to, to speak
11:00:23 15 today. It is truly a pleasure to be here with,
16 with this diverse audience representing many facets
17 of the industry to have a very fruitful discussion
18 about the opportunities and challenges that we, we
19 face going forward as an industry and, and what we
11:00:38 20 can do to have the path forward.

21 And, it's always an honor to, to share
22 the podium with Steve Winberg, who I had the, the
23 pleasure to work with about the first decade of my

1 career in CONSOLE's R&D Department. So, I think
2 Steve is very passionate about energy in general,
3 coal in particular, and I, I'm very confident that
4 he'll be a great leader for us in, in, in moving us
11:01:04 5 forward along that path.

6 Before I get started, I do work for a, a
7 publically traded company, so in full disclosure so
8 the Record's straight. And, I promise this is the
9 busiest slide in my talk today.

11:01:15 10 So, as Janet said, I work for CONSOL
11 Energy. Many of you possibly know CONSOL is a, a
12 company that's produced coal for more than 150
13 years, but we've gone through a lot of change
14 recently, so I wanted to give you a quick update.

11:01:30 15 The, the culmination of that change
16 really occurred in, in November of last year when
17 the former CONSOL, which is now CNX Resource
18 Corporation, spun off its coal business. And, and,
19 that coal business retained the name CONSOL Energy,
11:01:46 20 and that's who I work for.

21 So, what does, what does it, CONSOL
22 encompass today? Well, our primary operating asset
23 is the Pennsylvania mine, mining complex, which is

1 located in the northern Appalachian region.

2 We run three mines, the Baily Mine, the
3 Enlow Fork Mine, and the Hardin Mine. Produced
4 about 26 million tons of coal last year.

11:02:10

5 We have five highwalls in that complex
6 and a very large central preparation plant. And,
7 that coal goes both to domestic end users, largely
8 power plants located throughout the eastern United
9 States, and then to both thermal and metallurgical
10 end users located throughout the world.

11:02:27

11 CONSOL also owns the, the Baltimore
12 Terminal, the CONSOL Marine Terminal in the Port of
13 Baltimore, which is one of two major coal export
14 coal terminals in Baltimore. And, we exported
15 about 14, a little over 14 million tons of coal
16 through that terminal last year, consisting of both
17 our coal and other coals produced in the region.

11:02:42

18 So, my talk today is, is focused on coal
19 mining and beneficiation technology. And, why are
20 we interested in this topic?

11:02:59

21 I know many of you are familiar with,
22 with the information on this slide, but just to
23 fully lay out the, the pitch here. Two important

1 facts.

2 Number one, coal remains a very valuable
3 energy resource worldwide. I have data here from
4 the VP Statistical Review of World Energy showing
11:03:21 5 that coal, in 2016, was still the world's second
6 largest primary energy source worldwide, accounting
7 for about 28 percent of world energy consumption.

8 A lot of that is driven by countries
9 like China and India, each of which derive
11:03:41 10 approximately 60 percent of their energy needs from
11 coal.

12 The other important fact is that the
13 United States remains the richest country in the
14 world from a coal reserve standpoint. So, we're
11:03:52 15 Number 3 the terms of production, or Number 3 in
16 terms of consumption, Number 2 in terms of
17 production, behind only China, and we still edge
18 out China in terms of total proved reserves.

19 And, those reserves look particularly
11:04:06 20 impressive when you look at them in terms of
21 remaining years of production, and when you compare
22 them against other energy sources such as oil and
23 natural gas.

1 So, this will paint the picture that, in
2 light of the Administration's call for energy
3 dominance, coal is a very valuable tool in our
4 toolbox for, for achieving that goal. But, the
11:04:27 5 challenge to all of us in this room is to find ways
6 to continue to not only use coal, but also produce
7 coal cost-effectively so that we can realize that,
8 that potential.

9 Talking about coal technology, I have to
11:04:43 10 take a look back before I look forward. And, and,
11 the fact of the matter is that we are where we are
12 today largely because of technology in the coal
13 space.

14 So, pretty striking to look back and see
11:04:55 15 when we were using mules as haulage and
16 hand-picking for operation, contrasted with today's
17 modern mine-wall mining technology and massive
18 service preparations.

19 Just to kind of throw the, some
11:05:11 20 statistics out, so, since 1900 we see about 15-fold
21 improvement in, in productivity and about a
22 100-fold deduction in fatalities, both very, very
23 noticeable accomplishments.

1 And, a lot of that was enabled by
2 technology. When I look at this data, one of the
3 most important things was the introduction of
4 Schultz car, introduction of continuous miner,
11:05:34 5 introduction of longwall.

6 You can see those according quite nicely
7 with little upticks in the productivity graph. So,
8 clearly, evidence of the role technology has played
9 in making the coal industry what it is today.

11:05:48 10 But, when you zoom in and focus on the
11 last two decades, the, the story is a little bit
12 less impressive. So, in this graph I've plotted
13 productivity per the hour only for active coal
14 mines.

11:06:03 15 So, these are mines that actually
16 produced coal last year, based on MSHA data. And,
17 I've, I've broken this down into three, three
18 subsets of operation.

11:06:17 19 So, longwall mines are in red,
20 nonlongwall mines in green, and PRB surface mines
21 in blue. The last is differences in productivity
22 among them.

23 But, look at this graph and see long

1 walls for activity-wise are up about three percent
2 over that 20-year period. The other PRB models and
3 other mines are, are actually down over that
4 period, largely as cover has, has begun to thicken
5 in out west, and as a, the, the cap on underground
6 mines have gotten into more and more difficult
7 mining conditions and, and thinner seams.

11:06:45

8 So, contrast that with what, what has
9 gone on with the competition, and if, if you look
10 at our friend in the natural-gas base, focusing on
11 the Appalachian Basin, looking at new natural-gas
12 well productivity per rig between 2007 and 2017.
13 So, about a 30-fold increase in that productivity
14 measure.

11:07:03

15 Now, a big piece of that was the
16 introduction of horizontal drilling, hydraulic
17 fracking, and the shale revolution. If I go back
18 kind of five years to kind of take that step change
19 out we still see almost a four-fold increase in
20 productivity in Appalachian Basin gas production.

11:07:23

11:07:38

21 Looking at the utility scale, they're
22 down about 80 percent in, in the last several years
23 as well. So, this is the pace at which technology

1 is developing in the energy landscape, and, and
2 what we really are challenged on to keep up with if
3 we want to remain a viable and sustainable industry
4 going forward.

11:08:01

5 Just to give one last example, I do
6 hold, you know, what the, what the big cell phone
7 was in 1998, when this graph started. It was the
8 Nokia 5110, which featured a Walkman, the ability
9 to text, and introduced the ability to play Snake
10 on your phone.

11:08:15

11 So, obviously we've, we've made
12 tremendous advances in certain areas
13 technology-wise in the last couple of decades.

11:08:31

14 And, and, I lay this out as a challenge to the
15 Industry to think about ways that we can innovate
16 and accelerate the pace of technology development
17 on the coal production side of the business.

11:08:46

18 The fact of the matter is, you know, it,
19 you can state multiple reasons for this, but the
20 bottom line is we have not directed a lot of
21 funding forward the upstream aspects of the coal
22 industry in, in recent times.

23 In doing some research on this I found

1 a, a report that was published by the National
2 Research Council in 2007, which did probably the
3 best job that I've seen in, in really breaking down
4 where federal funding for multiple agencies, not
11:09:09 5 just DOE, was being directed in terms of, of coal
6 R&D.

7 And, you know, this is, this is
8 ten-years-old data, but still very relevant in
9 light of what we just saw. So, in 2005, about 91
11:09:24 10 percent of, of the funding for coal was directed
11 for downstream applications.

12 That would be coal utilization, CCS,
13 and, and transmission. The remaining nine percent
14 that did go more toward upstream applications was,
11:09:39 15 was largely focused on safety, health, and the
16 environment, certainly very noble causes, but what
17 really stands out here is that .2 percent of the
18 funding in 2005 went to productivity and resource
19 optimization, you know, really finding ways to, to
11:09:59 20 make a step change in, in the, the cost and
21 efficiency of, of actually extracting the coal.

22 So, of that \$1.3 million directed toward
23 that area, a little over 700,000 was, was in, in

1 the Mining Industry of the Future Program, was
2 under the, the Energy Efficiency and Renewable
3 Energy Office.

11:10:21 4 The rest went to the National Science
5 Foundation for, for fundamental research. So, the
6 NRC looked at this and, and recommended in the 2007
7 report that there should be renewed support for
8 coal mining and possible research and development
9 to optimize use of the nation's coal resources.

11:10:37 10 And, and, at the time their argument was
11 to increase the amount of coal that was
12 economically minable. Today it's, it's more geared
13 at, at keeping coal costs competitive with some of
14 the alternative energy sources that we, we face in
11:10:48 15 the marketplace.

16 But, essentially, I'm going to stand
17 here today and reiterate this, this very
18 recommendation. The NRC also noted, you know, if,
19 the, there was a lack of clarity in terms of who
11:11:00 20 was really leading the charge on the, the coal
21 mining and processing front from a, a federal
22 level.

23 They recommended at the time that it

1 should fall under Fossil Energy and, and kind of
2 coordinate among multiple disciplines. So, I, I
3 looked at the, the Fiscal Year 2019 budget request
4 just to see where we are today, ten years later.

11:11:23

5 The good news is I, I think there is
6 more focus now than there was then on some of the
7 upstream applications. So, we have critical
8 minerals showing up.

11:11:35

9 This is the rare-earth work; about nine
10 percent of the \$343 million. We also have advanced
11 coal processing, which is about three percent of
12 the number.

11:11:48

13 That's kind of split between developing
14 a, a coal database, looking at impacts on power
15 generation and on moisture removal for low-ranked
16 higher-moisture coals, but, you know, still lacking
17 anything in this, in this budget request that's
18 focused on the mining aspects of, of the coal
19 industry.

11:12:04

20 And, just to try to point out why I
21 believe it's important to look at the mining
22 aspects of the coal industry I've put together just
23 some very rough illustrative economics. This is

1 based on existing power plants, so I looked at the
2 average delivered coal price nationwide for the
3 last three years, average delivered natural-gas
4 nation-wide for the last three years, applied some
11:12:31 5 rough fixed and variable end-cost numbers, assumed
6 an 80-percent capacity factor along the board, or,
7 or, across the board, which we hope to get back to.

8 But, you know, first thing that stands
9 out when you look at existing coal plants, about
11:12:46 10 two-thirds of this overall fixed and variable OEM
11 cost is in that delivered-fuel price. So, that's
12 mining cost, transportation cost, preparation cost.

13 Obviously the breakdown varies
14 regionally. PRB coal has a much larger
11:13:00 15 transportation amount.

16 Eastern coal, staying locally, has a
17 much larger mining and processing cost. When you
18 stack that up against natural gas, and I, I look at
19 both an existing NGCC plant with a mid-sevens heat
11:13:18 20 rate exchange in the report, which is what they
21 represented is the fleet-wide tested average at
22 116, then a new NGCC plant which has a mid-6,000 T
23 rate, you see that on the, on the available OEM

1 cost, which I'm using as a surrogate for that, so
2 existing coal is out of the money against the new
3 NGCC plant in this example.

11:13:45 4 When you look at the overall fixed and
5 below OEM costs, both, both the existing and new
6 gas plants are beating out coal, with, with this
7 traveling through our average fuel price.

8 So, then we say: What can we do about
9 this?

11:13:57 10 Well, one thing we can do is improve the
11 efficiency of the existing coal plant. So, if you
12 factor in, moving over another bar to the right, a,
13 a five-percent heat rate improvement for the
14 existing plant, which is a pretty, pretty big move,
11:14:13 15 changes the game a little but, but, but leads to
16 the same conclusion.

17 If you're making a 25-percent
18 reduction, though, in the delivered fuel cost,
19 either through mining, processing, or
11:14:26 20 transportation, you see that we do, we do change
21 the game. We get that coal plant into the realm
22 of being able to compete even against a new NGCC
23 plant.

1 And, I can tell you that the, the gas
2 side of the, the power-generation industry is going
3 to keep driving those efficiencies lower and lower.
4 I'm assuming a 600 heat rate here.

11:14:49

5 We see lower than that coming down the
6 pike. So, you know, this illustrates the role that
7 fuel costs can play in, in trying to change the
8 nature of, of the dispatch stack in the U.S.

11:15:04

9 I should also point out -- You know, I,
10 I focused on power generation for this example
11 because it remains by far the largest use of, of
12 coal produced in the United States, but a, a
13 transformational step change in mining, leading to
14 a, a step change in cost would also be enabling for
15 other applications, whether it's new plants for
16 coal, whether it's the competitiveness for coals in
17 the export market, whether it's getting a, a new
18 fuel plant across the, the finish line in terms of,
19 of the overall economics of that plant.

11:15:20

11:15:36

20 So, what, what does all of this lead to?
21 Our recommendation is that, that the U.S. needs to
22 consider investing in new technology development on
23 the coal mining and beneficiation side of the

1 industry in order to fully utilize the vast coal
2 base.

3 And, you know, I mentioned that that
4 enables coal across all potential end uses. It's
11:16:02 5 going to continue the drive for improved safety
6 and, and reduced work, workplace exposure for
7 employees in the industry.

8 And, I think it's also important to, to,
9 to note that it would also reengage some of the
11:16:17 10 best and brightest upcoming minds who don't even
11 have the coal industry on their radar screen right
12 now.

13 If you went to a college and university
14 outside of mining engineering, it's all mechanical,
11:16:29 15 robotics, mechanical engineers, what are they going
16 to be focusing on today? Probably new smart
17 phones, self-driving cars.

18 I doubt if they'd be on mining right
19 now. So, putting some funding out there would
11:16:46 20 entice some into entering into the mining industry.

21 So, I've laid out the case. I'm going
22 to spend of the rest of my, my time just providing
23 a few illustrative examples of areas where I think

1 there is opportunity.

2 This is not an all-inclusive list, but I
3 wanted to at least get the creative juices flowing.
4 So, the first area I'm going to touch on is, is
11:17:07 5 automation and robotics.

6 And, Anthony's talk I actually noticed
7 one of the bullets was highlighting one of the, the
8 areas that are being focused on in China talked
9 about automating the, the mining processes, and
11:17:24 10 certainly pointed towards a, a drive towards
11 automating mining process there.

12 So, we need to be doing similar things
13 when, when we look at the, kind of the overall
14 growth map for coal. There's certainly
11:17:33 15 opportunities for automation in both surface and
16 underground operations.

17 On the surface, self-driving haul trucks
18 would be an example. I work for an underground
19 coal mining company, so my example is going to be
11:17:46 20 more, more underground focused.

21 And, today, when you look at models,
22 when you look at underground mining in the United
23 States, the longwall remains the, the state of the

1 art. I've showed a few slides back, you know, this
2 is a technology that's been around since the 1970s.

3 It's built for high-volume, highly
4 productive extraction of coal underground. I think
11:18:09 5 most of you probably know how longwall works.

6 If you don't, think of it kind of as a
7 meat slicer in the deli, you know, shaving off the
8 coal from the face of a, a large block of coal
9 underground. You have some inverted L-shaped
11:18:24 10 shields that are providing temporary roof support
11 as that shear progresses along the, the longwall
12 panel.

13 So, the role of longwall mining in the
14 U.S. coal, last year we had 40 operating long walls
11:18:37 15 in the United States coal industry. They've
16 produced 62 percent of the coal that was produced
17 in underground mines, which is about 170 million
18 tons of coal, at a substantially better
19 productivity than other, than the other underground
11:18:54 20 mines; more than, more than 85 percent more
21 productive longwall operations than the nonlongwall
22 operations.

23 In all likelihood, the nonlongwall

1 operations would have used longwalls if their coal
2 seam thickness and geologic conditions enabled that
3 to be, to be an option for them.

4 So, this is kind of the sexy technology
11:19:16 5 in underground coal mining, and as a result, it's
6 where the, the OEMs have focused a lot of their
7 attention in terms of development. CONSOL right
8 now is in the process of developing advanced shear
9 operation across our entire longwall fleet.

10 So, this is a, a technology that
11 basically enables automated, combined with the
12 longwall development, enables the shear to follow a
13 very consistent cutting profile as it moves back
14 and forth across the, the face of coal.

15 Couple of advantages there. Number one,
16 it reduces wear and tear on the equipment; reduces
17 downtime for, for alignment cuts and what not, and
18 that leads to a, a productivity increase.

19 So, Komatsu, who authored this
11:20:09 20 technology, generally quotes at least a ten-percent
21 increase in productivity when you go with advanced
22 shear. It also helps you mine more coal and less
23 roof rock, which means less rock that you move

1 along downstream for less preparation time.

2 We estimate that that's about a
3 ten-cent-per-ton cost savings for every inch of
4 roof that you avoid mining. So, saves 50 cents if
11:20:33 5 you avoid taking five inches of, of rock from the
6 roof.

7 You can extend this automation concept
8 by using a remote operation center where you can
9 have the longwall operator sit in a different
11:20:45 10 location from the mine underground or even on the
11 surface, and run the equipment using cameras and,
12 and controls.

13 And, there are also automation options
14 being developed and offered for the, the shields
11:21:00 15 that support the roof, for drives, et cetera. You
16 know, one of the big hurdles that, that we faced
17 in, in getting this technology across the finish
18 line has been employee acceptance.

19 But, it's generally been a positive
11:21:12 20 overall outcome. People are generally reluctant to
21 let the machine do what they do better, but in the
22 end they realize it really improved the, the
23 quality of their job.

1 And, when we look at this area, probably
2 the biggest technology need on the longwall itself
3 is really on coal seam horizon detection and
4 control. So, right now you're still using visual
11:21:37 5 observations and a person on camera to define where
6 the possible coal seam is versus the roof; that
7 there is a need for some improved technology to, to
8 automate that process and avoid having a human need
9 to take that information and make that judgment
11:21:53 10 call.

11 So, I talked about, a lot about
12 automation for the longwall miner itself, but when
13 we step back and look at the overall picture, you
14 know, the, the real need, in our view, is not the
11:22:04 15 longwall miner, but actually the continuous miners
16 which are doing the development work to enable the
17 longwall to do its job.

18 So, here I have a schematic showing kind
19 of the, the basic layout of, of a longwall panel.
11:22:21 20 The, the white area in the middle is the block of
21 coal that's going to be longwall mined.

22 To give you a scale, on average, in the
23 U.S. these panels are about 1,200 feet wide, about

1 1,500 feet long, although they can be wider and,
2 and much longer than that in certain mines.

3 And, then, you see all of this detail
4 around the sides. This is the room-and-pillar-type
11:22:44 5 mining that needs to be done to enable the panel to
6 be mined.

7 And, right now that's all done using
8 continuous mining machines, the same types of
9 machines that are used in the nonlongwall mines.

11:22:58 10 So, if you look at an overall typical six-panel
11 longwall district, in order to mine these six
12 longwalls of coal, you need to drive seven gate
13 entries, each of which, for every foot of longwall
14 panel to be mined, you will have three feet of
11:23:14 15 entry plus 100 foot of process.

16 So, four feet of continuous mine for
17 every foot of longwall that need to be done. You
18 have to drive setups and bleeders.

19 These are used basically for
11:23:28 20 ventilation, for transporting people and materials
21 and supplies into, into the mine, and for the belt
22 infrastructure that takes the coal out of the mine.
23 And, then you also have to drive mains, you know

1 which are a kind of a superhighway underground that
2 connects the whole operation together.

3 So, when you do the math, in the end, as
4 a general rule, for every foot of, of longwall
11:23:51 5 mining advance that, that you want to achieve, you
6 need at least six feet of continuous miner advance
7 to get that done.

8 So, we call them longwall mines, but
9 there's a lot of continuous room-and-pillar-type
11:24:06 10 mining that goes on in, in these operations. What
11 does all of that really mean?

12 Here I've shown, shown an illustration
13 of kind of what's required to operate the longwall
14 and what's required operating a continuous mine.

11:24:20 15 This is the type of, of CM that we use in, in
16 northern Ap.

17 There's, there's also place change
18 monitors that are used, and perhaps slightly
19 different numbers than these. But, just to give
11:24:33 20 you an idea, we're looking at nine people to run
21 the, the longwall, ten to 11 people to run one
22 continuous mining machine.

23 On a consumable side, you know, in both

1 cases you use bits, oil, rock dust, electricity.
2 With the continuous miners you're also using a fair
3 number of roof and lag bolts to connect to provide
4 support to the infrastructure that's used to
11:24:59 5 transport that.

6 Zooming down to the bottom here, if you
7 look at the typical eight-hour shift, this
8 longwall, in rough numbers, is going to buy, let's
9 call it 25 feet of advance in, in round numbers.

11:25:08 10 That depends very much on the coal seam and the
11 condition.

12 But, and produce about 350 clean tons
13 per foot. That accounts for 8,750 tons per shift
14 on that longwall.

11:25:25 15 Looking at a continuous miner, you're
16 going to get four times the footage, 100 feet per
17 shift. We're increasing four times the production,
18 so that equates to about 400 clean tons per shift.

19 Do the math. Number of people, you're
11:25:38 20 looking at about a 20-fold effective difference in
21 productivity between that continuous mining crew
22 and that longwall crew.

23 And, to give you an idea, you know, at

1 CONSOL we operate five longwalls. We operate 15 to
2 17 continuous miners.

3 So, the vast majority of our workforce
4 is actually running room-and-pillar-type
11:26:00 5 applications, as opposed to running longwalls, even
6 though we're, we're a longwall producer.

7 What can we do about this? We can
8 approach it with entire newly technology and
9 completely out-of-the-box approach.

11:26:14 10 Not that this is the answer, but think
11 tunnel boring instead of using a continuous miner
12 as we're using today. Or, we can improve on the
13 current process.

14 And, when you look at ways that you can
11:26:25 15 improve on the current process, there are really
16 three things that you can do. You can increase the
17 rates. How fast does that thing advance once it's
18 turned on?

19 You can increase the mining time. How
11:26:33 20 many minutes of the shift are we actually mining
21 versus sitting idle for, for other things?

22 Or, you can decrease the required
23 resources, reduce the number of people that are

1 needed to operate the machine, or the amount of, of
2 bolting and meshing that needs to be done.

3 I think there's real opportunity in this
4 case even to improve upon the, the current process.
11:26:55 5 As an example, if we look at mining time, I'll tell
6 you, it's the application.

7 Cutting about a foot a minute,
8 eight-hour shift has about 480 minutes. So, in
9 theory, you should be able to mine about 480 feet
11:27:06 10 per shift, using a continuous miner.

11 In practice, though, I, I mentioned 100
12 as, as a, an illustrative number. We're getting
13 far less than that.

14 So, if you take that 100 feet that we
11:27:19 15 might mine in a shift, convert that into minutes,
16 it says you're using basically 20 percent of your
17 available mining time for mining. Part of the
18 reason that number's so low is that there are
19 things that you need to do other than mine during
11:27:33 20 the process.

21 You need to rock dust. You need to do
22 pre-op checks.

23 You need to periodically remove the

1 machine and the cutting cycle. But, even adding
2 that up, you have nearly half of the mining time's
3 lost to inefficiencies and delays, mechanical
4 breakdowns, et cetera.

11:27:52 5 So, if you could take even half of that
6 unutilized kind of nonroutine time and turn it into
7 mining time, you would double your productivity
8 from the CM.

9 So, where do we go from this? We can
11:28:07 10 automate pieces or the entire process of the miner,
11 itself: The bolting, the meshing, the hauling from
12 the miner to the belt, the rock dusting.

13 Predictive and preventative maintenance
14 is a big piece of this with all the downtime that I
11:28:23 15 just mentioned. And, then, getting these pieces of
16 equipment to talk to each other is a big, a big
17 need.

18 Challenges: I, I mentioned with
19 longwalls, detecting the coal seam and, and the
11:28:34 20 horizon. That's also going to be a challenge for
21 automating a continuous miner.

22 In general underground you're dealing
23 with challenges you also have to worry about. You

1 have methane to worry about.

2 You have different floor conditions;
3 unexpected geology, roof falls, et cetera. And, I
4 think a big need here is actually getting the
11:28:52 5 technology approved to take underground.

6 So, right now, pretty stringent
7 rulemaking approval process through MSHA. You
8 know, if I wanted to take this underground, number
9 one, it wouldn't work, and number two, I wouldn't
11:29:05 10 be allowed to.

11 In the U.S. I'd either need to have this
12 in an explosion-proof case, which would make it
13 weigh as much as a brick and probably useless, or
14 I'd have to get it approved as a permissible
11:29:22 15 device. And, by the time it got it through that
16 process it would probably be an obsolete
17 technology.

18 So, there's clearly a need to streamline
19 that process. We're going to push the basic mining
11:29:34 20 technology forward.

21 I'm going to run through the next couple
22 of examples very quickly.

23 MS. GALLICI: Yeah.

1 MR. CONNELL: Very quickly. Big data
2 is, is a big opportunity in, in the mining space.

11:29:50

3 We, we are collecting the data, but, as
4 this graph, graphic shows, there are a number of
5 components getting the coal from the, the mine to
6 the end user that right now are not integrated,
7 talking to each other.

11:30:05

8 So, big effort. Big opportunity to
9 integrate those data and apply technologies such as
10 machine learning, artificial intelligence to
11 improve decision-making, and, and, and really
12 optimize the process.

11:30:19

13 Fully remote mining, out-of-the-box
14 concepts I think are needed. This is a concept at
15 Crazy Horse Coal presented at a DOE workshop that
16 was held back in the fall.

17 This is a drilling company drilling in
18 Texas. Hit a coal seam.

11:30:33

19 Realized they were able to extract the
20 coal using the drilling technique. So, obviously a
21 lot of considerations surrounding this; everything
22 from permitting to drilling mud to -- You know, it
23 would be a completely revolutionary approach.

1 But, this is the type of, of
2 out-of-the-box thinking I think that the Industry
3 needs in order to realize a, a true step change.

4 Waste coal recovery and utilization:

11:30:59 5 This is an area that CONSOL is looking at. We're
6 looking at taking our underflow coal from our prep
7 plant, which amounts to about five percent of the,
8 of the coal that we produce, and we're throwing
9 away as coal fines, recovering that, turning it
11:31:15 10 into a, a salable product with quality that's
11 actually better than our, our standard Bailey coal
12 product, and then converting what was a fine stream
13 being disposed of in slurry impoundment into a
14 coarse refuse stream that's easier to dispose of,
11:31:36 15 or may even have alternative end-use applications.

16 So, we have a, a pilot plant constructed
17 at that time at the Bailey preparation plant right
18 now that's, that's working to test and scale up
19 that technology. And, then, finally, we have
11:31:49 20 recovered new product streams today quite a bit.

21 I just want to reemphasize I think what
22 Randy mentioned about scale. You know, when, when
23 we look at the magnitude of the coal industry

1 being, you know, on the order of a seven- or
2 eight-billion ton-per-year global industry, you
3 know, even in comparison to something like iron
4 ore, which is certainly another commodity that
11:32:15 5 pales in comparison in terms of sort of the
6 magnitude.

7 We definitely need to think, as we're
8 road-mapping a path forward, about which of these
9 technologies truly have the potential from the
11:32:26 10 supply side to prop up the coal production aspects
11 of things.

12 So, in closing, I have listed kind of
13 what I would recommend as, as a few next steps that
14 we consider. I'm just going to read through these
11:32:39 15 quickly, but I think they say what they need to
16 say.

17 Initiate focused dialogue among coal
18 industry stakeholders, producers, equipment
19 manufacturers, transportation providers to
11:32:49 20 prioritize the areas of greatest need. I've
21 provided some examples today, but that's not
22 all-inclusive.

23 Gain input from other industries that

1 have succeeded in implementing analogous technology
2 solutions. Work with DOE and other Government
3 funding agencies to define reasons for other
4 opportunities.

11:33:07

5 Work with MSHA, as I mentioned, to
6 streamline the approval process. It wants to drive
7 the pace of technologies, testing and
8 implementation on the ground, incorporate goals
9 focused on productivity of the mining side into
10 road-mapping exercises for the future of coal.

11:33:21

11 And, then, finally, through funding,
12 kind of reengage academia and innovative thinkers
13 in, in putting our industry on their, on their
14 radar map.

11:33:35

15 So, I apologize for running a little bit
16 long, but --

17 MS. GALLICI: Dan, thank you for that.

18 You're shaking your head. Do you have
19 any comments or questions?

11:33:50

20 AN ATTENDEE: No, I don't.

21 MS. GALLICI: You're going to see Dan
22 afterwards, so the reason I was particularly
23 pleased when I got a chance to review Dan's

1 presentation earlier was I think one of the
2 technology advancements, we've been very focused on
3 the consumption side, and I, I think this points to
4 the fact that there are opportunities on, on the
5 supply and production side that, that are valuable
6 out there.

11:34:09

7 We continue to hear from the
8 Administration: Please find ways for us to be more
9 cost-competitive in this coal industry.

11:34:19

10 And, I think Dan's presentation just
11 kind of opened the door for us to, to start
12 thinking about some other things. So, thank you
13 very much.

14 Appreciate it. Thank you.

11:34:27

15 (Whereupon, applause was had.)

16 MS. GALLICI: All of the presentations,
17 by the way, will be up on our web site within
18 probably four, three or four days, so please check
19 on our web site and you can get more detail there.

11:34:45

20 Our next and final presenter for this
21 spring meeting is John Thompson, who is Technology
22 and Market Director for the Clean Air Task Force.
23 John promotes carbon capture and storage at power

1 plants and industrial facilities, as well as in the
2 transfer of innovative low carbon coal and fossil
3 technology between the U.S. and China.

4 He works to develop U.S. federal
11:35:14 5 Policies that enable saline injection as well as
6 enhanced oil recovery. And, John has been very
7 active in supporting, I know, the 45Q legislation;
8 has been engaged in that for many years.

9 So, congratulations in getting that
11:35:33 10 done. I heard a big sigh from, from the Midwest
11 there.

12 So, John has been serving with us as a
13 member of the Council since 2012. So, will you
14 please join me in welcoming John.

11:35:45 15 (Whereupon, applause was had.)

16 ENHANCING THE SUCCESS RATE OF TECHNOLOGY
17 DEPLOYMENT: AN ECOSYSTEM APPROACH

18 MR. THOMPSON: Thank you, Janet.

19 Mr. Assistant Secretary, panelists, and
11:35:55 20 members of the National Coal Council, it's a
21 privilege to be here with you today and talk a
22 little bit about something I'll describe later,
23 which is ecosystems.

1 And, we've heard a lot about technology
2 innovation. We've heard a lot about how we can
3 take and develop new technologies, and what that
4 means.

11:36:19 5 What I'm going to be asking you to think
6 about is: If we had those technologies in our hand
7 right now, what other barriers would we see that
8 would prevent them from being adopted in the
9 marketplace?

11:36:31 10 And, that's why I'd like to talk to you
11 about enhancing the success of technology
12 development and ecosystem approach. And, I'll
13 define those terms in a moment.

14 Oopsie, what do I do here?

11:36:47 15 AN ATTENDEE: The middle button.

16 MR. THOMPSON: The little button.

17 AN ATTENDEE: The middle button.

18 MR. THOMPSON: Middle button. Oh, what
19 do you know.

11:36:54 20 I see. If you point the pointer in the
21 other direction it becomes the middle button. Very
22 good.

23 The Clean Air Task Force, we are a

1 nonprofit environmental organization. We work on
2 climate change.

3 Our interest is in promoting solutions
4 that address this problem. And, you've heard from
5 us before.

6 Our Executive Director, Arnold Cohen,
7 has addressed this group about two years ago at
8 this meeting. I want to tell you a few things that
9 might be a little different about us:

10 That we're really interested in
11 promoting what I would call durable climate
12 solutions, ones that sustain when economics change,
13 that are sustainable when politics change, and, as
14 Janet mentioned, that's kind of one of the reasons
15 we're so interested and we were so supportive of
16 the 45Q tax credits.

17 It had bipartisan support. It had
18 support from the left, from the right, from coal
19 companies, from oil companies, from environmental
20 groups, from labor groups, from farm organizations.

21 It was truly a bipartisan effort.
22 That's why we support the Use It Act, which
23 supports infrastructure on carbon capture and

11:37:10

11:37:26

11:37:45

11:37:58

1 storage.

2 And, it's especially difficult in these
3 times, I think, to find those bipartisan solutions.
4 It's almost as though our political parties are at
11:38:25 5 war with each other.

6 And, I, I just -- It made me -- I wanted
7 to share an anecdote from a previous time when our
8 parties were actually at war, the Civil War, and
9 Abraham Lincoln was President. You know, the story
11:38:42 10 goes that Abraham Lincoln, that in a, prior to the
11 Civil War, in 1863, he held a reception in the
12 White House.

13 And, in the concluding remarks he
14 referred to the Confederate soldiers and the South
11:38:57 15 in general as "errant human beings." And, he
16 concluded his remarks and a Boston matron cornered
17 him afterwards, a woman with four sons in the Union
18 Army.

19 And, she said, "How can you call the
11:39:04 20 Confederate soldiers and the South 'errant human
21 beings'? They are our enemies. We must destroy
22 them."

23 And Abraham Lincoln said, "Madam, in

1 making them my friends, do I not destroy my
2 enemies?"

3 Today we need to find ways of making our
4 opponents our friends. And, so, my remarks to you
11:39:26 5 today are aimed at reaching out to the left or the
6 right, whatever side of the political spectrum that
7 you are, to engage with you and to turn you into
8 our friends, because ultimately, for pragmatic
9 reasons, that is the only way that we will come up
11:39:41 10 with durable climate solutions.

11 So, the question that I want to engage
12 with you on is: How fast can carbon capture be
13 scaled?

14 This is a topic that we are addressing
11:39:58 15 in a series of reports that we'll be issuing later
16 in 2018, and we're looking at a, a wide range of
17 innovation policies. But, I want to focus on we'll
18 be talking about things that deal with scale.

19 If you want to address climate change,
11:40:07 20 it has to be done at scale, and scale is really the
21 determining factor. If you can't reach scale, you
22 don't have, you don't have a solution.

23 So, that technology that you must have

1 has to be globally applicable. It has to work not
2 simply in the United States, but in the developing
3 world.

11:40:29

4 It can't be too expensive. It has to be
5 easy to construct and to build.

11:40:45

6 So, a modular solution that Steve talked
7 about is very important because it embraces some of
8 those things that are necessary to get to scale.
9 It has to be easily financed, and it has to
10 overcome what I would call, and what I will
11 describe in the focus of my remarks, as bottlenecks
12 in the ecosystem.

11:41:00

13 So, the ecosystem. Let me, let me just
14 say a little bit about how I came across this idea
15 and what it means.

11:41:12

16 There are some researchers from
17 Dartmouth and the University of Pennsylvania, Adner
18 and Kapur at the University of Pennsylvania, who
19 have been studying technology innovation in the
20 computer industry and in the printing of circuits,
21 looking over the last 40 years of innovation and
22 market adoption of those technologies.

23 Adner and Kapur conclude that about 48

1 percent of the ability to, of the market to, or the
2 prediction of the market to take on a new
3 technology is really only attributable to some of
4 the traditional factors like price adjustments and
5 performance differences, number of variety of
6 products, how long, how old the rival technologies
7 are.

8 Forty-eight percent of that predicted
9 success comes from those factors. But, when you
10 account for something that the authors call the
11 ecosystem, the correlation jumps from 48 percent to
12 about 82 percent.

13 So, what, what's an ecosystem? Think of
14 it, what they studied, things like ink-jet printers
15 and high-definition television, both technologies
16 invented in the 1980s.

17 The ink-jet printer overtook the
18 dot-matrix printer almost immediately in the 1980s,
19 because all you had to do was plug it into your
20 existing computer cable.

21 High-definition television didn't become
22 the standard for about 30 more years, and it was
23 because you had to have pre-processing standards.

1 You had to have post-production standards.

2 You had to have your television and, and
3 broadcast mediums all coordinated. And, that took
4 about 30 years.

11:42:46 5 And, as I looked at that I thought, you
6 know, that sounds a lot like carbon capture. You
7 know, we have pipelines.

8 We have storage sites. We have
9 long-term care Regulations.

11:42:57 10 We have all these things that what Adner
11 and Kapur call the ecosystem, the things that are
12 necessary for an existing technology to be adopted.
13 They are the enabling technologies that, that are
14 there.

11:43:12 15 They are the standards. They are the
16 infrastructure.

17 They are those sorts of things. And, I
18 want to flag for you -- Let's see.

19 What did I do here? -- is, is talk
11:43:29 20 about what they learned about the ecosystem that I
21 think is relevant to any of the clean energy
22 technologies that we are talking about, whether
23 it's carbon capture, whether it's nuclear plants,

1 whether it's solar, whether it's wind, whether it's
2 geothermal.

3 Any of those all have ecosystem
4 bottlenecks. So, it's important to analyze not the
11:43:52 5 ecosystem; not just the new technology itself.

6 So, in carbon capture we've got to find
7 ways of expanding pipelines. We've got to find
8 ways of getting EOR sites.

9 We've got to find ways to get more
11:44:03 10 saline. We've got to overcome, you know, various
11 things.

12 And, these bottlenecks must be removed
13 to advance these promising technologies. If Steve
14 Winberg announces at the end of this month one of,
11:44:17 15 a new breakthrough technology that radically
16 eliminates all of the cost barriers between a
17 zero-carbon coal plant and one without that
18 emission normally, I would submit to you that
19 unless you've removed those ecosystem bottlenecks,
11:44:35 20 unless we have pipelines and storage sites, it will
21 still sit on the shelf.

22 And, if it sits on the shelf for 30
23 years, like high-definition television did, it's

1 too late to achieve my goals, which are addressing
2 climate change.

3 Another point, in terms of technology,
4 whether that's nuclear power or solar or wind, they
11:44:56 5 can innovate. And, when they innovate they can
6 extend their technologies, or they can change the
7 ecosystem that would stall things like carbon
8 capture, other baseload technologies.

9 So, we need to be looking at those kinds
11:45:11 10 of, of competitors and those kinds of things. And,
11 each time a competing technology improves, it
12 raises the bar for everyone.

13 So, it may be great to put out, you
14 know, a, a, a new coal plant that is more
11:45:24 15 efficient, but if your customers in China who you
16 might to want sell that have an option of a small
17 modular nuclear reactor available to them at a
18 much, much lower price or better emissions profile
19 for CO₂, it's too late.

11:45:43 20 We have to be looking also at what
21 competing technologies are doing. So, let's talk a
22 little bit about the ecosystem for carbon capture
23 and storage.

1 You know, it can include incentives; you
2 know, looking at current technologies. It's more
3 expensive between putting carbon capture on for the
4 most part in a, in an uncontrolled plant. We need
11:46:04 5 incentives or other mandates to overcome these cost
6 premiums.

7 We need carbon-dioxide pipelines. We
8 need storage sites.

9 We need safety and long-term care
11:46:17 10 standards enable the technology to advance with
11 minimum uncertainty. We need to eliminate, you
12 know, kind of location restrictions.

13 I mean, there are certain areas of this
14 country that are more favorable of exposing of CO2
11:46:32 15 than others. We have to address financing; not
16 just the cost of equipment, but the scale of
17 financing the infrastructure.

18 And, of course, we need to address
19 know-how. But, we're not alone in that.

11:46:43 20 I'd like you just to think about what
21 Adner and Kapur say, is that the adoption of a new
22 technology in the marketplace isn't just a function
23 of price and performance, but how many, how much of

1 this ecosystem must adapt. The more elements in an
2 ecosystem, or the stronger they are, the slower the
3 adoption of technology.

11:47:05 4 So, let's look at two examples in this
5 table. Carbon capture and storage, I've listed
6 maybe seven elements.

7 Wind, today's wind maybe only faces a
8 cost premium. And, as soon as we have, you know,
9 production tax credits or those sorts of things, it
11:47:21 10 moves quickly into the marketplace.

11 But, it's not going to stay that way.
12 Wind at low penetration levels on the grid maybe
13 faces one or two ecosystem bottlenecks.

14 Maybe it's just cost and, and
11:47:35 15 transmission. But, when you get into higher and
16 higher levels of penetration on the grid, 40, 50
17 percent, the ecosystem that wind faces is very
18 similar in terms of the number of nodes as carbon
19 capture.

11:47:50 20 You need balancing. You need grid-scale
21 storage.

22 You need an advanced grid. You need a
23 whole bunch of things that take a long time to do.

1 And, what I would propose and submit to
2 you, that when you start looking at scale, and when
3 you start looking at long-term solutions, carbon
4 capture and nuclear power and wind and solar look
11:48:13 5 pretty similar in terms of the ecosystem
6 bottlenecks that they face.

7 And, if we want to use all of those
8 technologies, we have to be able to overcome those
9 bottlenecks in each of those things, including
11:48:27 10 carbon capture. So, talk a little bit about what
11 first projects do to eliminate those bottlenecks.

12 Usually they pick sites that remove some
13 of them. So, a new carbon-capture project might
14 locate more readily into the Permian Basin because
11:48:47 15 they can knock off, you know, maybe several of
16 these pipeline or storage sites or other kinds of
17 bottlenecks, and you're down to just two.

18 That's why new projects and new
19 technologies tend to go where there's a lot of
11:49:00 20 infrastructure, but we don't see a lot of new
21 carbon-capture projects proposed in Maine, okay?
22 But, we see the same thing with wind.

23 We see the same thing with solar. We

1 see that they, they, they clump in areas where
2 there's high wind and high solar resource
3 potential.

4 And, so, really, the key is I'd like you
11:49:23 5 to think about what happens if the cost premiums
6 disappear. And, we're probably on the verge with,
7 in some ways with that with 45Q.

8 At least imagine -- Oopsie. Let's try
9 this again.

10 Assume for a minute that we eliminate
11 that price premium. We could have done it with
12 45Q, you know, to a large extent.

13 We will need to do it with better
14 technology. And, when that happens -- Let's see.

11:49:49 15 You know, you eliminate those cost
16 premiums, and imagine them for all of these
17 different technologies. You're still left with
18 about six elements in the bottle-, in the ecosystem
19 bottleneck.

11:50:00 20 We need Policies that address those
21 bottlenecks, and that's why, for those that say,
22 "Well, all we need to do is focus on getting R&D to
23 get projects to commercial stage," I say look at

1 the ecosystem.

2 It is insufficient to stop there. The
3 market will not take those technologies and push
4 them to higher levels of adoption if we've still
11:50:24 5 got these ecosystem bottlenecks.

6 So, we've got to eliminate the remaining
7 bottlenecks. And, I'd like to just sort of discuss
8 that in the implications with 45Q and carbon tax.

9 You know, it's our view that 45Q tax
11:50:42 10 cuts make some coal plants near the Permian Basin
11 attractive carbon-capture retrofit because we've
12 already reduced some of the key barriers and we've
13 got easy access to EOR.

14 But, we need other policies. We need
11:50:54 15 capital; probably Policies that help with, you
16 know, forming capital in these deregulated d
17 electricity markets.

18 Very tough to put a power plant or a
19 capture unit in a deregulated market in Texas.

11:51:09 20 Maybe we need some support there.

21 Maybe we need pipeline legislation that
22 extends the ability for EOR operators to take their
23 pipelines into areas where CO2 is, is coming from

1 industrial sources. That's why we're so excited
2 about the Use It legislation.

3 So, I'm going to offer a few concluding
4 thoughts, and hopefully -- Oops, a little bit
11:51:34 5 running late here. You know, although -- Here's
6 what I would just say, is that although renewables
7 have made impressive gains over the past decade,
8 have higher levels of penetration on the
9 electricity grid, you add more ecosystem
11:51:52 10 bottlenecks which will appear and will likely
11 hinder their development.

12 And, then, although carbon capture has
13 started more slowly, the ecosystem bottlenecks
14 don't appear to be any more challenging than
11:52:02 15 renewables reach as they reach higher levels of
16 penetration.

17 But, for -- However, for CCS to
18 significantly scale to really hit a climate
19 mitigation level, it's not enough to focus just on
11:52:16 20 cost reduction. We have to address these other
21 policies that also address the ecosystem; things,
22 ready opportunities right now, you know, in this
23 Congress, pipeline buildup, and maybe trying to

1 address the ability to reduce risk and find more
2 capital for multi-billion-dollar project, projects.

3 And, what I would also just say,
4 finally, that the ecosystem for the current
11:52:42 5 electricity system is not static. Gas prices are
6 low.

7 That favors gas, CCS, or gas, natural
8 gas combined cycle, and it may also help with CCS
9 on gas plants, too. And, in the short-term, 45Q
11:53:00 10 tax cuts are going to help carbon capture on
11 industrial and power sources.

12 And, these early projects may bring us
13 down the learning curve to actually transform the
14 technology into much lower costs than what we've
11:53:13 15 experienced in recent years. Changes to the
16 advanced grid may favor some technologies over
17 others, like intermittent renewables and baseload
18 generation.

19 So, we need to make sure that our grid
11:53:25 20 works for everybody. And, in the medium term,
21 capture and storage applications are going to
22 depend on enhanced oil recovery.

23 But, EOR also competes with other ways

1 of producing oil. Every advance in unconventional
2 oil development has an impact on EOR as a business
3 model.

4 So, with that I'd just like to wrap up
11:53:49 5 my remarks and thank you for your time this
6 morning.

7 (Whereupon, applause was had.)

8 I think we're doing questions, not just
9 maybe for me, but for other panelists, too?

10 MS. GALLICI: Just for you.

11 MR. THOMPSON: Oh, just for me? Okay.

12 MS. GALLICI: I have one. So, John,
13 thank you very much for your presentation.

14 You have alluded to this a number of
11:54:15 15 months ago, and I thought it was a fascinating
16 idea. But, it seems to suggest maybe a transition
17 kind of piecemeal legislation; so, more wholistic
18 kind of approach.

19 The mind boggles to, you know, just, how
11:54:29 20 we, we get there. But, is that kind of the vision
21 that you see going forward?

22 MR. THOMPSON: Exactly. I think that
23 our focus for all technology innovation hasn't, has

1 to be not just on particular projects, but at
2 programs that bring, in little of a kind plants
3 into being.

11:54:54 4 We have to overcome those first barriers
5 of, of, of the, that, that, that build risk into
6 that first project, because usually the commercial
7 sector has difficulty also building two, three, and
8 four. So, there's a government role, I think, to
9 reduce those things.

11:55:16 10 And, it's also, I think it, it lends in,
11 you know, it, it -- Scale raises interesting
12 implications for research and development. We have
13 to think about manufacturability at the beginning
14 of R&D.

11:55:22 15 You know, can we make these solutions
16 and factor? Can we make them modular?

17 Can we, if we deal direct, how much of
18 the equipment can we do in modular ways? There are
19 many implications, and the policies have to start
11:55:38 20 by first thinking about the scale.

21 MS. KRUTKA: Holly Krutka, from Peabody.
22 Janet, I think you used an excellent
23 word when you said "wholistic," because that kind

1 of big-picture thinking kind of brings it all
2 together. And, I love your analogy with your
3 comparison to wind.

11:56:03 4 I think you're spot on. But, my
5 question is kind of at one higher level than that
6 because in ecosystem you're missing one thing, and
7 that is, like, a fundamental opposition to coal
8 from some parties.

11:56:15 9 And, that costs real money, right? So,
10 how -- I think you and Brad and a couple others
11 have, like, this unique view where you can see
12 these entrenched camps.

13 And, I saw this incredible passion that
14 was so negative when I spoke at COP 23. And, it
11:56:30 15 wasn't a fun, you know, experience, but it was
16 eye-opening.

17 And, I'm just wondering if you can
18 comment on how can we get past that kind of
19 rhetoric and you think of things holistically so
11:56:42 20 we can actually find places to work together. I
21 think 45Q is a great example of success, but now we
22 realize, you know, that there are all these other
23 pieces.

1 Or, we always knew there were these
2 other pieces, and we have to work on those as well.
3 I mean, there could be real opposition to CO2
4 pipelines from opposition groups.

11:57:05 5 And, I'm wondering, from your viewpoint,
6 which is really powerful and unique, what do you
7 think we can do about that?

8 MR. THOMPSON: I give that same speech,
9 whether it, I'm on left audience or right audience.
11:57:19 10 And, I will usually begin with something like, over
11 the last 30 years the level of fossil fuel use has
12 been pretty constant, around 80 percent of the
13 total energy requirements of the planet, and the
14 best estimates are maybe by 2050 that might drop to
11:57:34 15 75 or 70 percent, but it's not zero.

16 So, what do you do with the rest? And,
17 I think that when it comes to thinking about carbon
18 capture, it's, it's not just a coal technology.

19 It is a pollution-control technology.
11:57:50 20 We need it for the industrial sector.

21 We need it for gas plants. We need it
22 for oil.

23 And, I think the biggest thing that

1 changes is when we actually have projects in the
2 field that are working. Petronova that is in, in
3 operation, changes the, the, the dynamic of public
4 relations.

11:58:13 5 So, we've been in a position where
6 there's been few coal CCS projects and few coal
7 success stories. That, I think, is going to
8 change.

9 And, as that changes, your average
11:58:26 10 person is going to start thinking more and more
11 about: What are the pragmatic options?

12 And, I think that I'm, I'm not, I'm not
13 worried about that as a, as a, as a long-term, you
14 know, challenge. I think pragmatic solutions
11:58:43 15 change the way people think about the options
16 before them.

17 MS. GALLICI: One more question.

18 MR. CRABTREE: Brad Crabtree, Great
19 Plains Institute.

11:58:55 20 John, that was a great presentation, and
21 I just wanted to note that Governor Meade, in
22 Wyoming, has recently reached out to 17 other
23 Governors in extending an invitation for them to

1 participate on a retail basis to develop deployment
2 initiatives. Now that the 4Q has passed at the
3 federal level, we have a unique moment.

4 And, as, as, as the fellow said, a
11:59:22 5 six-year window to get as much deployment as
6 possible while that tax credit is authorized. And,
7 this kind of ecosystem approach to these resource
8 deployment issues can be a laboratory for trying
9 to, in a wholistically way, pull all these pieces
11:59:38 10 together and getting beyond this chicken and egg
11 problem which has bedeviled us now for years.

12 And, I wasn't going to, but I'll pick up
13 on, on Holly's point and your response. I really
14 agree with that in putting together the coalition
11:59:53 15 and keeping the coalition together that ultimately
16 got 45Q done, we didn't try to get everybody to
17 agree on climate change.

18 We didn't try to get everybody to agree
19 on the future of coal, but, rather, the core
12:00:07 20 outcome, which is if you capture the CO2 that would
21 otherwise go up a stack at a power plant or
22 industrial facility, put it in the ground, produce
23 more oil, store that CO2 in the process, that's a

1 good thing that everybody can agree on.

2 And, I guess the last question, and you
3 raise a very good point, is there will be some
4 opposition to CO2 pipelines. But, I think when we
12:00:31 5 focus on outcomes, we have a large middle in this
6 country that really almost aches to solve some
7 problems, and we'll be speaking to that large
8 middle.

9 And, we will be diminishing the extreme
12:00:41 10 voices that say climate change isn't real or that
11 coal is bad, and, instead, focusing on whether it
12 it's 80 percent or 70 percent, or whatever that big
13 middle is, and empowering them to work on the
14 solutions.

12:00:55 15 But, you have to focus on the outcomes
16 and get past that high-level debate, because that's
17 where people don't agree.

18 MR. THOMPSON: So, I'll just make one
19 conclusion. Since I introduced Lincoln in the
12:01:09 20 beginning of my talk, let me end with him.

21 Lincoln was asked how it was that both
22 sides of the Civil War could invoke God as being on
23 their side. And, he was asked you know, whose side

1 is God on?

2 Lincoln said, well, God is on the side
3 of truth. And, the question is: Are we on God's
4 side?

12:01:26 5 So, I always think that the challenge
6 ahead of us is to try to figure out how we can get
7 closer to the side of truth, and to find those
8 solutions that I think work the best from an
9 economic standpoint, from a political standpoint to
12:01:38 10 appeal to that large swath of the middle.

11 Thank you.

12 (Whereupon, applause was had.)

13 ASSISTANT SECRETARY WINBERG: Let's -- I
14 think we've had tremendous speakers, starting with
12:01:57 15 Thomas Pyle last night, Anthony, Randy, Dan, and
16 Tom. Thank you.

17 Interesting thoughts, and provocative
18 thoughts, and I think we all gained by it. So,
19 round of applause.

12:02:12 20 (Whereupon, applause was had.)

21 ASSISTANT SECRETARY WINBERG: As is the
22 NCC requirements, we now have time for a public
23 comment period. We posted in the Federal Register

1 announcement several weeks ago asking if anyone had
2 any written Statements, and we did not get any.

3 There was a signup sheet outside for
4 anyone from the public that wanted to speak. No
12:02:41 5 one signed up for that, but we have always opened
6 it up for anyone, any guests with us that want to
7 speak.

8 And, if you do, we will bring a
9 microphone over to you. I'd ask you to raise your
12:02:58 10 hand, let us know your name, your affiliation, and
11 if you will keep your comments to within five
12 minutes I would appreciate it.

13 So, do we have anyone in the audience
14 that would like to speak?

12:03:11 15 (Whereupon, no response was had.)

16 ASSISTANT SECRETARY WINBERG: Okay.
17 Seeing no one, I think we are very close to being
18 on time once again.

19 So, what I'd like to do is turn the
12:03:26 20 podium over to Janet. I think she has some closing
21 remarks.

22 And, then we will end the spring meeting
23 of the NCC for 2018.

1 MS. GALLICI: So, I will echo Steve's
2 comments and compliments to our speakers. I think
3 we had a great roster of presenters, and quite a
4 variety of presentations.

12:03:52

5 They will be -- Again, the PowerPoints
6 will be up on the web site in a few days. We also
7 have a contact list for the speakers posted on our
8 web site, and so that you will be able to follow up
9 with these folks if you have questions or comments.

12:04:07

10 So, I also wanted to take a moment to
11 thank our sponsors. We really and truly appreciate
12 the folks that have contributed to the event the
13 last day and a-half.

12:04:22

14 Our dinner sponsors, RAMACO, RAMACO,
15 TriState, and Jupiter Oxygen, thank you for your
16 support of the dinner event last night.

17 It was the first time that we had done a
18 dinner event, and I think it was quite a success.
19 So, we'll see more of that in the future.

12:04:36

20 For our meeting again, today, again
21 RAMACO, thank you for your support, Peabody, Arch,
22 CHARA, Western Research Institution, ABA, Clare
23 Back (phonetic) and SynFuels America, represented

1 by the folks here in this audience. Thank you for
2 your support.

3 Orinthia, who has conveniently left the
4 room now when I wanted to thank her, but if you
12:05:03 5 will thank her on your way out, there are just two
6 people in the office, and running a meeting for
7 130-some people is challenging. We love a
8 challenge.

9 And, Dottie, thank you very much for
12:05:14 10 your support on the tech stuff.

11 So if you'll thank her. I'd like to
12 just acknowledge our Executive Committee members.

13 They're the ones that come in a day
14 earlier and, and get on phone calls during the year
12:05:26 15 and really support the operational running of this
16 organization. So, would the folks that are on the
17 Executive Committee please stand so that we can let
18 folks know who you are and, and we can acknowledge
19 your support.

12:05:42 20 (Whereupon, applause was had.)

21 MS. GALLICI: Glad -- Thanks.

22 Appreciate that very much.

23 Hey, yes, sir. Guy in the wreck. Deck,

1 Danny, you will not be hearing from me tomorrow,
2 but Monday morning first thing, we've got work to
3 do.

12:06:07

4 There are evaluation forms that are at
5 your seats. If you will kindly complete those or
6 get them to Orinthia.

12:06:22

7 We'll also be sending you electronic
8 version if you prefer. We're next going to be
9 meeting September twelfth through the thirteenth in
10 Norfolk.

11 Dave Lawson, with Norfolk Southern, is
12 going to be sponsoring most of our group down
13 there.

14 Thank you very much for that.

12:06:31

15 Lunch, if you have purchased a lunch
16 there should be a ticket on the back of your name
17 tag. If you've lost it, Tom, you can seem
18 Orinthia.

12:06:46

19 But, we'll be meeting for lunch in the
20 City Center 1 room, which is just outside the doors
21 here. And, finally, I'm going to give it back to
22 Steve for any closing remarks.

23 But, I realize I've been referring to

1 you as "Steve," and not to "Mr. Secretary" the
2 entire time. So, it's difficult to make that
3 transition.

12:07:13 4 No disrespect for a lot any means. I
5 think a lot of us have been knowing Steve for a
6 long time.

7 But, with all due respect, Mr.
8 Secretary, I'll turn the program back over to you.

12:07:15 9 ASSISTANT SECRETARY WINBERG: "Steve" is
10 much more comfortable. Thank you again.

11 So, it's now time to conclude our
12 meeting. Certainly I want to thank everyone that
13 came, some of you a very long distance, to get here
14 to be with us today.

12:07:30 15 Again, I think we had a great program.
16 Your cooperation, your input have been and will
17 continue to be invaluable in the work that the NCC
18 does.

12:07:43 19 And, again, on behalf of Secretary Perry
20 I want to thank you for all the time and effort
21 that you've put into this important work. Again,
22 we look forward to seeing you all in Norfolk.

23 And, this meeting is now officially

1 adjourned. That you.

2 (Whereupon, at 12:08 p.m. ET the above
3 meeting was adjourned.)

4 I certify the foregoing to be a
5 true transcript from my notes.

6 E-signature: D. I. Bunn

7 CSR CP RPR

8 CERTIFICATION

9 I, D. I. Bunn, a Registered
10 Professional Reporter, Certified Conference
11 Reporter, and Notary Public, do hereby certify that
12 the foregoing testimony was duly taken and reduced
13 to writing before me at the place and time therein
14 mentioned. I further certify that I am neither
15 related to any of the parties by blood or marriage,
16 nor do I have any interest in the outcome of the
17 above matter.

18 In witness whereof, I have hereunto set
19 my hand and affixed my official seal, at Chadron,
20 Nebraska, USA, this 18th day of April, 2018.

21 E-signature: D. I. Bunn

22 Notary Public

23 My Commission expires January 5, 2020.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23